

1 AGENDA: CSO PHASE III STAKEHOLDERS MEETING

2 NARRAGANSETT BAY COMMISSION

3

4

5

6 DATE: May 22, 2014

TIME: 9:00 A.M.

7 PLACE: Narragansett Bay Commission

Corporate Office Building

8 One Service Road

Providence, RI 02905

9

10

11

12 PRESENTERS:

13 TOM BRUECKNER

MICHAEL WAGNER

14 RICHARD RAICHE

SCOTT LINDGREN

15 NICK ANDERSON

16

17 STAKEHOLDERS PANEL:

18 JAN REITSMA

CAROLINE KARP

19 JAMES TOOMEY

AMES COLT

20 DORIS ASCHMAN

DAVID TURIN

21 MICHAEL WAGNER

SHEILA DORMODY

22 LANCE HILL

MEG KERR

23 PHIL HOLMES

STEVE COUTO

24

25

1 BRIAN BISHOP  
JOHN HART  
2 JARED RHODES  
MICHAEL GAGNON  
3 AL MANCINI  
HAROLD GADON  
4 TOM BORDEN  
GREG GERRITT  
5 MICHAEL WALKER  
RACHEL CALABRO

6

7

OTHER ATTENDEES:

8

ELIZABETH SCOTT  
9 JOE HABERAK  
ALAN NATHAN  
10 GEORG PALMISCIANO  
LAURIE HORRIDGE  
11 TIM THEIS  
PAM REITSMA  
12 STEVE LALLO  
CATHERINE OLIVER  
13 CHRISTINE COMEAU  
ROBERT OTOSKI  
14 KEITH GARDNER  
JOANNE MACERONI  
15 RICHARD BERNIER  
RAY MARSHALL  
16 JAMIE SAMONS  
RICHARD SALIT  
17 AMBAR ESPINOZA  
JENNIFER HARRINGTON  
18 MEG GOULET  
RACHEL GAUDIO

19

20

21

22

23

24

25

1 (MEETING COMMENCED AT 9:10 A.M.)

2 MR. DOMENICA: Good morning, for  
3 Phase III of the CSO program. The goal is to  
4 understand the current program, look at the  
5 options, see if it needs to be modified, how it  
6 needs to be modified, what are the criteria.  
7 And today's focus in the workshop will be, as it  
8 says on the agenda, primarily Items B and C:  
9 EPA affordability issues and green  
10 infrastructure alternatives. And the  
11 consultant, Montgomery Watson Harza, and Pare  
12 will take us through Item C, affordability  
13 issues. We're waiting for EPA to arrive, but  
14 that's a full agenda.

15 Also, Tom Brueckner is going to  
16 make some introductory comments, as well as  
17 cover really three issues; parking lot issues,  
18 that there's a summary of from the last meeting,  
19 some questions that have been submitted since  
20 the last meeting, and respond to those, and also  
21 a summary of the minutes. The minutes are  
22 on-line, the drafts have been on-line on the  
23 website. There are still some corrections that  
24 need to be made to it. I'm not going to take  
25 any more time here except to say it's very, very

1 important for the stenographer, minute keeper  
2 that we speak into the microphones just as I'm  
3 not doing right now. Make sure that you speak  
4 loudly and clearly, your name and affiliation.  
5 If there are any nominated stakeholders in the  
6 back, please come up to the table.

7           Every stakeholder, association,  
8 affiliation should have one person at the table.  
9 We're trying to limit it to one. Others are  
10 certainly welcome in the gallery, but please sit  
11 at the table. It facilitates the discussion and  
12 understanding of who's saying what. And with  
13 that, I'm going to give it to Tom. We have a  
14 tight schedule, and Tom's got a number of things  
15 to cover here.

16           MR. BRUECKNER: For the record,  
17 that was Mike Domenica.

18           MR. DOMENICA: Mike Domenica, Water  
19 Resources Association.

20           MR. BRUECKNER: The only other  
21 thing I wanted to check on, Jamie, on the  
22 minutes, what we typically do is we get minutes,  
23 they're in a draft format. We go through them  
24 and make corrections, which the stenographer

25 then makes. When we put them on the website,

5

1 that is usually the corrected minutes, correct?

2 MS. SAMONS: Yes.

3 MR. BRUECKNER: So if the corrected

4 minutes are on the website, but I won't

5 guarantee that there are no mistakes in them.

6 There may be a few here and there, but we tried

7 to go through them to make sure they were

8 accurate.

9 What I'd like to do this morning is

10 go through two things: The first is parking lot

11 issues. We had mentioned that issues that come

12 up during meetings, we would put in a parking

13 lot to be carried through and addressed as they

14 come up in the presentations, and so I want to

15 summarize where we are with parking lot issues

16 as of right now.

17 And the second thing I want to go

18 over is there have been two requests; one, if

19 you read the minutes by Ames Colt that we

20 summarize the minutes of the meeting because

21 they're so lengthy, sometimes it's hard for

22 people to understand exactly what went on, or

23 they're looking for a condensed version of them.

24 So I'm going to try and summarize briefly what

25 was discussed at the last meeting, and issues

6

1 that came up and resolutions for those issues,  
2 if there were any, and also parking lot issues  
3 that came up from the last meeting. So I'll do  
4 that now.

5 Parking lot issues from before,  
6 previous meetings: The main one, obviously, is  
7 the EPA guidance on affordability. We pointed  
8 out that it was more flexible in terms of cost  
9 that can be considered, and as we had said,  
10 we're trying to drill down to census tract MHI  
11 to determine affordability when we're doing our  
12 affordability analysis.

13 And the second issue with regard to  
14 affordability related to water quality standards  
15 is we have stated that you would build what you  
16 can afford now, and if water quality standards  
17 are not met, determine what else needs to be  
18 done to meet the standards, and then you would  
19 again spend to the limit of affordability.

20 EPA had some slight objection to  
21 that, and Dave Turin said we should be looking  
22 at the water quality objectives first instead of  
23 the money. So I think just a little different

24 nuance on that issue. So to address those two  
25 issues, we've asked EPA to speak today, and

7

1 that's the next item on the agenda. And that  
2 would be on the affordability issues and meeting  
3 water quality standards. Another parking lot  
4 issue that was raised, does MWH know of any  
5 models to access rates in the most impacted  
6 neighborhoods?

7 Right now -- EPA on the  
8 affordability criteria with the thought that if  
9 the poorest census tracts are used for the  
10 affordability analysis, that that may not be an  
11 issue. Another concern that was raised at  
12 previous meetings was that Phase III is  
13 preordained.

14 Now, while we have a proposed Phase  
15 III approach, which basically consists of a  
16 tunnel and sewer separation, the intent of this  
17 reevaluation program is to determine if Phase  
18 III is needed at all, and can it be modified.

19 And part of that is it needed at all relates to  
20 water quality standards. And then again, the  
21 affordability of meeting water quality  
22 standards. And as I mentioned at the last  
23 meeting, a question was raised asking if we

24 could provide a summary of the minutes of the  
25 previous meeting, which I'll do now. So,

8

1 basically, the last meeting was a presentation  
2 by MWH on grey infrastructure alternatives,  
3 which are the alternatives that we were  
4 proposing for Phase III, the way the program is  
5 set up now, and has to do primarily with  
6 building structures and facilities, tunnels.

7 And the other approach that we'll  
8 be talking about today is green infrastructure,  
9 which is less concrete oriented, if you will,  
10 probably a softer approach to dealing with  
11 stormwater issues and CSOs. So I'll just  
12 briefly go through what the technologies were  
13 that were presented, kind of talk about the  
14 pluses and minuses, and some of the discussion  
15 that came up. And then after I finish with  
16 this, I know that Ames had a few questions  
17 related to the alternatives that were talked  
18 about, and then we'll go through those.

19 And if other people have some  
20 specific questions, we can deal with those, as  
21 well. So the first grey infrastructure  
22 alternative that was talked about was sewer



23 separation. And by the way, I want to mention  
24 that for me, someone who has dealt with this for  
25 years and years, this seems so simple for me to

9

1 understand because I'm so familiar with it, but  
2 I can appreciate someone who has never dealt  
3 with these issues before, the technology, being  
4 somewhat unable to differentiate between  
5 alternatives or understand really what the point  
6 is.

7         So I'm going to try and make this  
8 fairly simple straightforward, and just touching  
9 on the highlights so that it provides a  
10 background for you. So when we get to the next  
11 meeting, which is going to be evaluation of the  
12 alternatives, you'll just have some basic  
13 understanding that you would need in order to go  
14 through that process.

15         So the first grey infrastructure  
16 alternative is sewer separation. So in this  
17 alternative we separate the storm flow from the  
18 combined sewer, usually by putting in a new pipe  
19 in the street, a new storm pipe. And then we  
20 have to connect all the catch basins and the  
21 downspouts from houses into that new pipe.

22         We talked about the minuses of that

23 approach, that alternative. First of all, it  
24 creates a stormwater discharge that will need  
25 treatment, and with the combined sewer overflow

10

1 system as it is now, some treatment occurs  
2 before the overflow occurs because that first  
3 flush is basically taken into the interceptor  
4 off to the treatment plant.

5 The second minus for storm sewer  
6 separation is that it's disruptive to  
7 homeowners, businesses and neighborhoods because  
8 the amount of construction we have to do in  
9 every street. You have to tear up every road to  
10 put in a new pipe. And then the third item we  
11 had mentioned was that maintenance is required  
12 for the catch basins long-term usually by the  
13 communities which is pretty much beyond their  
14 ability to do.

15 The pluses for the sewer separation  
16 are that one of the stakeholders mentioned that  
17 they hoped it would alleviate flooding problems,  
18 I believe that was Lance Hill, and it provides  
19 new utilities infrastructure, because when we go  
20 in we have to replace utilities in the street so  
21 you get new gas lines, waterlines, and we repave

22 the roads. So that's a benefit to doing the  
23 sewer separation. Sewer separation was, at the  
24 last meeting, it was mentioned that it was  
25 proposed for Overflows 35, 39, 56 and 206. 39

11

1 and 56 are on the West River, and 35 is on the  
2 Moshassuck, 206 is on the Blackstone River.  
3 There was some discussion of Overflow 35 that  
4 it's close to Overflow 37, a neighborhood which  
5 was recently impacted by the sewer separation  
6 and the concern was raised that if we go and  
7 start tearing up North Main Street in that area  
8 again, it's going to just be more burden to that  
9 same neighborhood.

10 The next grey infrastructure  
11 alternative that was discussed was tunnels, and  
12 corollary to the tunnels are the interceptors  
13 that bring flow to the tunnel. So basically the  
14 tunnel is an underground storage system that  
15 collects the CSOs which are pumped out after the  
16 storm to the treatment plant, and the secondary  
17 treatment is provided for the stored flows.

18 The current Phase III program  
19 proposed is the Pawtucket tunnel, which is 26  
20 feet in diameter, 13,000 feet long, and two  
21 series of interceptors, and they flow to the

22 tunnel primarily from Central Falls.  
23 Now, this tunnel would capture all  
24 the overflows along the Seekonk and Blackstone  
25 Rivers, especially large overflows such as 218,

12

1 205, and 220 on the Moshassuck. Now, 220 is  
2 right here, that's 220, 218 is over here, and  
3 205 is up there. They're the biggest circles on  
4 the graphic.

5 Now, some of the minuses for the  
6 tunnel are that there's some routing issues for  
7 the interceptors. We have to go under a  
8 railroad, and there's some bridge crossings, so  
9 there is somewhat difficult construction points  
10 for the interceptors. And the other is that  
11 it's a big project commitment, that can't be  
12 broken down into smaller contracts over time.  
13 So if you're going to do a tunnel, you're going  
14 to have to commit a lot of money for that one  
15 project.

16 You can't really break it up into a  
17 more affordable approach over time. And for  
18 tunnels to be cost effective, they need to  
19 capture a lot of volume, so that you're into the  
20 tunnels, or you're not going to do tunnels.

21 Now, the pluses for the tunnels are  
22 that there's limited surface disruption because  
23 almost all the work is deep underground. You  
24 get a high level of treatment because the flows  
25 stored in the tunnel are usually pumped out to

13

1 the plant for secondary treatment. There is  
2 very low maintenance, there's very few moving  
3 parts, it's easy to operate, and there's limited  
4 land acquisition siting issues, again, because  
5 there are so few points where we impact the  
6 surface.

7 One of the questions that came up  
8 with regard to the tunnels was how do we handle  
9 Overflow 220, which is that largest circle on  
10 the Moshassuck River. So there were two  
11 approaches, basically, that were looked at, or  
12 will be looked at. One is an adit, which is  
13 basically a small tunnel to connect it to the  
14 big tunnel, along the Pawtucket tunnel, and the  
15 other approach would be a force main and pump  
16 station force main, and a gravity sewer to get  
17 the flow over to the tunnel.

18 So those will be looked at when  
19 we're evaluating alternatives. The next grey  
20 infrastructure approach that was discussed was

21 near surface storage, and corollary to that is  
22 screening and disinfection. So basically a near  
23 surface storage tank is a tank built 15 to 30  
24 feet underground, and basically it's just a big  
25 holding tank to hold the CSOs until after the

14

1 storm for treatment at the treatment plant.  
2 There are none currently proposed for Phase III,  
3 in the currently accepted program.

4 Now, the minuses for storage and  
5 screening and disinfection, we need odor  
6 control. The maintenance of the facilities  
7 require cleaning after each storm. We have a  
8 lot of moving parts. You've got screenings that  
9 you have to take out. With screening and  
10 disinfection you have chlorine on site.

11 You have to make sure that chlorine  
12 is active, that you don't overdose, that you  
13 don't put too much chlorine in the river and  
14 kill the fish that are in the river. So that's  
15 an issue. And the biggest problem probably is  
16 siting, and there were several situations where  
17 we looked at specific sites and we showed that  
18 really, there was no place to put these large  
19 facilities.

20           And as was mentioned, that was one  
21 of the reasons why we got away from in many of  
22 the areas, even in Phase I and II, near surface  
23 storage facilities, because there was no place  
24 to put them. The pluses for the near surface  
25 storage and screening and disinfection are that

15

1 it can be broken out as small contracts,  
2 probably that's the biggest plus. So you could  
3 do as a phased program, pick up, select  
4 overflows to the major ones, and deal with them  
5 on a cost-effective basis. You get a high level  
6 of treatment for the three-month storm if you're  
7 doing near surface storage because you're  
8 pumping it out to the treatment plant, and you  
9 get lesser treatment from all of the storm if  
10 you use the screening and disinfection approach  
11 because overflow gets passed through the  
12 facility for the duration of the storm because  
13 it's a lower level of treatment.

14           Now, proposed for evaluation in  
15 Phase III for near surface storage and screening  
16 disinfection. One of the things we talked about  
17 was changing from sewer separation for Overflows  
18 39 and 56, which are along the West River, to a  
19 West River interceptor that would provide

20 storage and would also provide relief for the  
21 Branch Avenue interceptor which runs along the  
22 West River. And the reason for that relief is  
23 that Branch Avenue interceptor is surcharged now  
24 during storms, creating sanitary sewer overflows  
25 which are illegal, and this would also help to

16

1 alleviate those discharges. The other  
2 evaluation we're looking at is near surface  
3 storage or screening disinfection for Overflow  
4 220 as an alternative to the adit, or to the  
5 interceptor for 220. And we provided looking at  
6 sites.

7 One of them mentioned was Morley  
8 Field which is a ball field right next to it,  
9 and that generated some discussion about could  
10 that tank be built somewhere else, which kind of  
11 got into the discussion of siting these  
12 facilities. It gives people a flavor for how  
13 difficult that might be. Parking lots to the  
14 north of that was suggested, but we pointed out  
15 that that parking lot was used on a continuous  
16 basis, and that wasn't an option.

17 The question was raised if it could  
18 be built to store bigger than a three-month



19 storm, and what is the cost effectiveness of  
20 designing for larger than a three-month storm at  
21 another location, Overflow 103, 104, which led  
22 to a discussion about overflow policy from EPA,  
23 do four overflows per year comply with EPA's  
24 policy. Do we need to do a three month storm or  
25 a bigger storm if we could? And it was stated

17

1 by Dave Turin that no, we don't for overflows  
2 per year really doesn't apply to us, because in  
3 New England there are numerous numeric criteria  
4 for quality standards which don't really allow  
5 for the four overflows per year presumptive  
6 approach.

7 So that may be something we can  
8 talk about further today. And then there was a  
9 discussion about possibly doing near surface  
10 storage, screening and disinfection for  
11 Overflows 104 and 105, which were up in Central  
12 Falls, which are the areas that would need the  
13 interceptor if the tunnel was built. If we  
14 didn't build a tunnel, could near surface  
15 storage work there. So those will be things we  
16 will be evaluating.

17 And then we talked about near  
18 surface storage for Overflow 205, which is an

19 extremely large overflow, and that would require  
20 13 million gallons of storage, and it was  
21 proposed originally back in 1994 when we did the  
22 first evaluation to be two separate facilities;  
23 13 million gallons would require two facilities,  
24 one of 6 million gallons and one of 7 million  
25 gallons. And that obviously wasn't selected for

18

1 the proposed approach because there was siting  
2 issues there, as well. And we talked about the  
3 near surface storage for Overflow 218, which is  
4 the largest overflow in Phase III. And the  
5 problem there was the size of the facility and  
6 siting it because right adjacent to it, the  
7 parcel that's now vacant is under development  
8 for a trucking facility, so that's probably not  
9 going to be available.

10 And the other thought was to convey  
11 the flow to the treatment plant directly and  
12 treating it at the plant, but we don't have  
13 capacity at the plant to treat that flow.  
14 That's sort of substantial. And right now our  
15 wet weather facilities are designed to take the  
16 flow from only the north diversion structure.  
17 That's basically the summary of the grey

18 infrastructure alternatives that we're going to  
19 be looking at and in the next meeting  
20 evaluating.

21           And then the parking lot issues for  
22 grey infrastructure alternatives, I only really  
23 came across one, and that was a concern that the  
24 life of system issues in terms of durability.  
25 In other words, how long would the facilities

19

1 last, and the level of control given that future  
2 weather patterns may change from what they are  
3 now, would they be designed adequately to  
4 accommodate future weather patterns, future  
5 rainfall events? So that's something that will  
6 also be looked at as we go through the  
7 evaluations. And then the last topic that was  
8 discussed was stormwater, and basically it was  
9 just a little kind of primer on what can be done  
10 for current stormwater facilities, really with  
11 regard to catch basins, some sort of treatment  
12 systems, catch basins to capture the grit and  
13 also to throttle the flow into the storm drains.

14           It's kind of a precursor to what  
15 we're going to be discussing today about green  
16 infrastructure. So that is the best summary I  
17 could come up with for the meeting. And again,

18 this was the last meeting, pretty technical  
19 stuff, but just understanding that there are  
20 these hard grey alternatives that are out there,  
21 and they're typically the ones that we look at,  
22 we will be looking at those, that's the  
23 alternative here, and the alternative is to look  
24 at green infrastructure, either as a supplement  
25 or an alternative to the grey infrastructure

20

1 alternative. Ames had some questions, he had  
2 some specific questions.

3 MR. DOMENICA: Before you go to  
4 those, Tom, are there any questions regarding  
5 the parking lot issues, or the summary of the  
6 minutes?

7 MR. REITSMA: Jan Reitsma from the  
8 Governor's Office. I want to thank you, Tom,  
9 this is extremely helpful. I'm one of those  
10 unfortunate souls who had a hard time following  
11 some of the technical discussion, and in  
12 particular, reconstructing it when I read the  
13 transcript.

14 So what I would suggest is that we  
15 actually pull out the summary and make it  
16 available in written form separate from the

17 transcript, and I think that might also be  
18 useful to people other than the ones who are  
19 serving on this body. I would like to be able  
20 to go back, because even now, and I'm on my  
21 fourth coffee and I still have a hard time with  
22 keeping up with all of it, but I want to thank  
23 you because that really helps to reconstruct  
24 things in my mind. I get the context. I just  
25 wanted to say that. Thank you.

21

1 MR. BRUECKNER: So there are two  
2 things that I want to talk about. One is that  
3 the presentations are on the website, which  
4 probably the power points are a little more  
5 succinct than the minutes, and if you want you  
6 can go back and look at the power point  
7 presentations by MWH, which may answer some of  
8 your questions regarding the technical stuff.

9 And the other is with regard to the  
10 summary, my only concern about doing that is  
11 I'll probably do the summary and I'll summarize  
12 what I think is important. So there may be  
13 things that I leave out which someone else may  
14 have thought was important, but that's the risk  
15 we'll run for having me do a summary of it.

16 MR. REITSMA: At the same time you

17 provide the structure I think that is extremely  
18 important, at least to me, to put the different  
19 pieces of information.

20 MR. BISHOP: I have two kind of  
21 point of order questions that I'm assuming maybe  
22 some of the substantive issues over cost or the  
23 presentation you made aren't appropriate to this  
24 part of the discussion. One is I'm just trying  
25 to understand the distinction between the

22

1 sanitary sewer overflow discharge that you  
2 talked about in the interceptor that runs along  
3 the West River versus the CSO itself.

4 MR. BRUECKNER: SSO, sanitary sewer  
5 overflow occurs on a separated sewer system  
6 where there's supposedly only sanitary flow  
7 going into that sewer. But what actually  
8 happens is there are, we'll say, the illegal  
9 tie-ins of stormwater which inflow into the  
10 sanitary system so that when it rains it exceeds  
11 its capacity. Now in a CSO, the system is  
12 designed to take the stormwater, and it's  
13 relieved legally, well it's relieved at a point  
14 that is permitted, but now it has to be  
15 addressed.

16 MR. BISHOP: And I suppose it's  
17 moot since it happens, I mean, is a sanitary  
18 sewer overflow theoretically more illegal, is  
19 that double super secret probation, or what's  
20 going on here?

21 MR. BRUECKNER: Well, the CSOs are  
22 permitted, and there's a program in place to  
23 address that. The SSOs are not permitted, and I  
24 guess that's the distinction.

25 MR. BISHOP: Is there no relief

23

1 structure, or are we just talking it goes into  
2 people's basements?

3 MR. BRUECKNER: Or in the streets.

4 MR. LIBERTI: I just want to  
5 clarify that a CSO system is designed to take  
6 that flow where a sanitary system, the excess  
7 flow should not be in. It should have been  
8 designed to properly convey it, so it really is  
9 sort of more illegal because it was never  
10 designed to operate that way, where a combined  
11 system was designed from day one to have these  
12 relief points.

13 Now, you can have a combined sewer,  
14 it's possible that there's too much flow in  
15 that, and it shows up in the street, that's a

16 problem too, that it's not an authorized  
17 discharge point. So what the other communities  
18 do is sometimes they get penalties for those  
19 sanitary overflows. They have programs that go  
20 out and find them and correct them.

21 MR. DOMENICA: Caroline, go ahead.

22 MS. KARP: I have a question about  
23 overflow 220, and I've gone back to the power  
24 point. I guess I want to ask if you showed that  
25 slide again with all the major overflows, what

24

1 is the best plan for 220 that's separate from  
2 205 and 218, really big CSOs in East Providence?

3 MR. BRUECKNER: You mean that's not  
4 going to be tied into the tunnel?

5 MS. KARP: Yes.

6 MR. BRUECKNER: Well, there's  
7 possibly green infrastructure which we haven't  
8 looked at at all previously, but will be in this  
9 evaluation. The other alternative would be a  
10 near surface storage facility which would be at  
11 Morley Field which is right next to it, which  
12 will be a big holding tank to capture the storm.  
13 And then the other would be a variation of near  
14 surface storage which is screening and



15 disinfection, which is a flow-through facility  
16 and the discharge occurs at the time the storm  
17 is treated.

18 MS. KARP: The reason why I ask  
19 you, I'd kind of like to flag 220 as being kind  
20 of a separate issue geographically, and then I'm  
21 going to flag this, and I bet it's going to be  
22 part of the parking lot issue, and it goes to  
23 the base of this program. We're managing based  
24 on fecal coliform bacteria, fecal bacteria,  
25 whatever they are. So we're basically managing

25

1 this entire system based on what comes out of  
2 sanitary waste and the risk of sanitary waste  
3 going into receiving waters, so I would ask DEM  
4 and the EPA that's not our only problem for the  
5 bay, so we really have major problems for the  
6 bay and emerging problems like the nano  
7 particle, nano scale, triclosan, for example, is  
8 a problem or there may be a problem.

9 And they're spending a lot of  
10 money on this project. So I would just want to  
11 make sure that as we look at this, we also at  
12 some point have a conversation about what the  
13 big problems are for Narraganset Bay and the  
14 extent which CSOs address those problems.

15 Because we manage around bacteria and the water  
16 will be somewhat clean sometimes, but we may not  
17 have anything living in the bay. We somehow  
18 have to get to the underlying questions, why are  
19 we doing this and are we regulating on the right  
20 pollutants.

21 MR. BRUECKNER: Which would be part  
22 of the evaluation for the alternatives for that,  
23 which would be more effective in controlling  
24 those pollutants of concern.

25 MR. GADON: I thought you said one

26

1 of the objectives was to decide whether or not  
2 Phase III was needed. I thought that had  
3 already been decided because Phase I and II did  
4 not do the trick.

5 MR. BRUECKNER: So, I mean, I don't  
6 want to make that statement that we right now  
7 absolutely have to do Phase III, but it's likely  
8 we have to do something. I don't think it's  
9 going to be we don't have to do anything.  
10 Affordability does come into the issue of what  
11 we have to do, so we'll be evaluating that. And  
12 then the other part is when we do water quality  
13 evaluation, do we have to do the extensive

14 program we had proposed originally?

15 MR. DOMENICA: I think we'd  
16 probably better move on here, Tom. Ames, you  
17 had some questions.

18 MR. COLT: Ames Colt, Rhode Island  
19 Bays, Rivers and Watersheds Coordination Team.  
20 I sent these to Tom saying he could address them  
21 offline, but he wanted to get some today, so  
22 I'll try to be quick. They're kind of specific.  
23 In terms of treatment processes, I was curious  
24 as to whether we could expect localized or  
25 satellite screening disinfection plants to

27

1 provide treatment equivalent to wet weather  
2 treatment processes at Field's Point or Bucklin  
3 Point?

4 MR. BRUECKNER: So the answer for  
5 the near surface storage is yes. For the  
6 satellite treatment facility it would be  
7 screening disinfection, probably not quite the  
8 level of treatment, but more primary treatment  
9 than secondary treatment, which would be  
10 screening disinfection.

11 MR. COLT: It seems that at least  
12 we're discussing options for Outflow 220, which  
13 is a key piece of this, I totally agree. You

14 said you could either have storage or screening  
15 disinfection, you can't do a combination. So I  
16 was wondering, other than the required pumping  
17 system to remove water that's been stored and  
18 put into an interceptor or a bedrock tunnel, is  
19 there any other operational need for those  
20 storage facilities?

21 MR. BRUECKNER: Okay, under the 220  
22 alternatives there are two. One is put it in  
23 for the tunnel and associated with getting to  
24 the tunnel is either an adit or a pumping  
25 station to pump it to the tunnel. So that's one

28

1 alternative. Then the other alternative that  
2 would be looked at would be, as I mentioned to  
3 Carolyn, a near surface storage tank or  
4 screening disinfection, and you can do either  
5 one, and they each would work to a certain  
6 degree, and probably would meet our  
7 requirements. I'm not sure if that answered  
8 your question.

9 MR. COLT: It's a small point, but  
10 if you have a local storage only, and you're  
11 basically only having to load up to that storage  
12 and then pump it out after the rainfall, is

13 there anything else you have to do operationally  
14 at that site other than maintain the pump  
15 systems?

16 MR. BRUECKNER: Yes, for the  
17 storage you have to clean the tank afterwards,  
18 and you have to make sure that the facilities,  
19 they're working, the pumps, and whatnot, are  
20 working.

21 MR. COLT: And then Outfall 220,  
22 you talked in detail about either the Pawtucket  
23 Avenue interceptor or a subtunnel. Overall, can  
24 we expect the interceptor along Pawtucket  
25 Avenue, and so forth, to be cheaper to construct

29

1 than the subtunnel?

2 MR. BRUECKNER: I think that's  
3 something we can evaluate.

4 MR. COLT: Would the Pawtucket  
5 Avenue interceptor be very disruptive to the  
6 Pawtucket Avenue corridor neighborhoods, or is  
7 that all pipe jacking and microtunneling?

8 MR. BRUECKNER: Let's put it this  
9 way, to go to the adit is least disruptive, as  
10 it's completely underground. The pipe jacking  
11 is less disruptive than cut and cover, but is  
12 still fairly disruptive at the points where

13 you're doing the jacking pits. And locating  
14 those is not easy either because it's very  
15 densely developed, so it's an issue.

16 MR. COLT: But at least you're not  
17 tearing up a street right down in the middle of  
18 Pawtucket?

19 MR. BRUECKNER: No.

20 MR. COLT: Would a pump station  
21 required for the Pawtucket Avenue interceptor in  
22 the long run make it more expensive than a  
23 subunnel?

24 MR. BRUECKNER: Say that again?

25 MR. COLT: Well, if you have the

30

1 interceptor you've got to push that water up to  
2 the boundary of the watershed. In the long run  
3 is operating that pump station going to mean  
4 that the total cost of the system is going to be  
5 higher than a subunnel?

6 MR. BRUECKNER: Again, that would  
7 be evaluated in the cost.

8 MR. COLT: So it's possibly a close  
9 call?

10 MR. BRUECKNER: I'm not sure.

11 MR. COLT: Okay. And then to

12 Outfalls 39 and 56 on the West End, another  
13 really interesting situation. You said sewer  
14 separation in those neighborhoods is really  
15 unlikely.

16 MR. BRUECKNER: We prefer not to do  
17 it for reasons stated.

18 MR. COLT: If there was some way to  
19 do that along the green infrastructure, would  
20 that alone be adequate to reduce the surcharge  
21 problem for the Branch Avenue interceptor, or do  
22 you need that West River interceptor regardless?

23 MR. BRUECKNER: Beyond evaluating  
24 that as part of the modeling we're doing, I  
25 think we would still need some relief because

31

1 right now the flows that are coming in from 56  
2 and 39 are regulated before they go into the  
3 interceptor, so basically what happens is  
4 there's a very small pipe that takes the flow  
5 during wet weather from the main coming down to  
6 the overflow to allow the flow to get into the  
7 interceptor, so that flow is regulated to a very  
8 small amount.

9 What happens is the flow that can't  
10 get through that regulator pipe is discharged,  
11 so that's why the overflow occurs. So,

12 basically, when you do a sewer separation, that  
13 flow that's now going out is still going to go  
14 out, but it's going to go out as stormwater, and  
15 the sanitary flow is basically going to be  
16 pretty much the same as it is now, but it's  
17 going to go into the interceptor, so you're not  
18 going to take a lot of the stormwater flow out  
19 of that interceptor if it's already not there.  
20 So the answer is no, you're not going to get a  
21 lot of reduction in the flow going out.

22 MR. COLT: And then finally, maybe  
23 you didn't know before you did it, but you've  
24 said how difficult sewer separation in certain  
25 areas on the East Side was. What led you in the

32

1 first place to do sewer separation in those  
2 areas? You would have known it was going to be  
3 hard anyway.

4 MR. BRUECKNER: I think mainly it  
5 was too far from the tunnel to be  
6 cost-effective. Based on the numbers we came up  
7 with for the evaluations, just not  
8 cost-effective to get that flow down to the  
9 nearest location to get it into the tunnel.  
10 There really were no sites for storage, so it



11 kind of left us with sewer separation, and it's  
12 been done in numerous communities.  
13           And I'm not saying that it doesn't  
14 work because it does take the flow out, but  
15 based on our experience and what happened in the  
16 neighborhoods, it's so disruptive, and the fact  
17 that now we've created another stormwater  
18 discharge, that some time down the road will  
19 need to be addressed. It's just not something  
20 that we are keen on doing, so we'd like to find  
21 a better alternative, let's put it that way.  
22 And I would say that our decision to try and  
23 stay away from sewer separation in the next  
24 phase is based on our experience with  
25 construction of doing an actual sewer

33

1 separation, learning from experience.  
2           MR. COLT: Okay, thank you. That's  
3 it.  
4           MS. KARP: I have another question.  
5 Could you give us some data at some point on the  
6 precipitation profile for this part of Rhode  
7 Island, and also projected precipitation,  
8 because my understanding from the USGS  
9 presentation is that maybe a three-month storm  
10 is no longer a 1.6-inch storm?

11 And I guess I heard from a  
12 presentation by David Bali that if storm  
13 precipitation changes over the next 10 to 50  
14 years, that that will have a lot to do with the  
15 sizing of these and also the number of  
16 overflows.

17 So, for instance, if you could just  
18 explain quickly if we get more frequent two-inch  
19 per hour rainstorms, how many overflows are we  
20 going to get a year if we designed 1.6.

21 MR. BRUECKNER: The storage  
22 capacity is based on the total rainfall, not the  
23 intensity, so two inches per hour if it's less  
24 than 1.6. If we exceed 1.6, or we get  
25 back-to-back storms, obviously, the tunnel will

34

1 not be able to handle it, we'll have overflows.

2 UNIDENTIFIED SPEAKER: Tom, could  
3 we get a probability on that?

4 MR. BRUECKNER: Four times a year.

5 Going forward, the question has been asked,

6 Angelo would ask that we update the 3, 6,

7 12-month and 24-month storms based on more

8 current rainfall data. We have talked to NOAA,

9 also.

10           They're now doing that throughout  
11 the country, they're evaluating and updating  
12 their information. It's scheduled to be done  
13 here in September of 2015. Then they'd have  
14 done this region. And what they found in the  
15 other region, the two that they did which I  
16 think were in the midwest, that there was no  
17 appreciable statistical difference between the  
18 old numbers and the new, which people find hard  
19 to believe, but that was what they told us.

20           So we are either going to look at  
21 it now, or wait until design to come up with  
22 that, but another factor in terms of what we  
23 should design for it, it isn't just the size of  
24 the storm, but it's also affordability. So  
25 let's say we say, oh, what used to be a

35

1 three-month storm is now a six-month. We now  
2 have to spend this much money doing it. We  
3 can't afford to do that, so we wait to get more  
4 money, or we have to do something else. So  
5 that's another factor that's in here. And in  
6 fact, one of the major questions raised is what  
7 size storm are we going to design to, how do we  
8 determine that? So that will be part of this  
9 evaluation.

10 MR. BISHOP: I brought this up last  
11 month, and statistically, I understood that  
12 after you go past the three-month storm,  
13 theoretically a three-month and a one-day storm,  
14 but I think the brunt of what I was suggesting  
15 is differentiating.

16 What elicited my comment was that  
17 EPA had said something to the effect of how  
18 about the signing for the six-week storm, or  
19 something to that effect, and I just wanted to  
20 make sure we were looking the other direction in  
21 the sense of, how large are those distinctions,  
22 how large effectively would the overflows be?  
23 So that requires comparative volumes, whether  
24 they be new 2015 figures. So we know we're  
25 trying not to only have four a year, but if we

36

1 have four little overflows a year versus major  
2 ones, or it may suggest that from a  
3 prioritization standpoint perhaps we should try  
4 to address larger outflows and catch the  
5 six-month storm and stick to relatively low  
6 costs temporary, or screening and disinfection  
7 solutions at more disparate locations.

8 MR. BRUECKNER: Food for thought.

9 One of the things that we were doing now as part  
10 of the evaluation, when we come up with a  
11 recommended alternative, we're going to run that  
12 alternative for the current average year, run it  
13 for the year and see how many overflows we get  
14 with that new proposed system. So that's part  
15 of the evaluation that will be done.

16 MR. BISHOP: You're talking about  
17 the number of overflows. I assume the way  
18 that's done it'll also tell us how big they are  
19 expected to be?

20 MR. BRUECKNER: Right.

21 MR. REITSMA: Just one more  
22 clarifying question. So when we talk about  
23 using the data about weather events, are we  
24 talking about large data, about past events up  
25 to the present?

37

1 MR. BRUECKNER: Yes.

2 MR. REITSMA: We are not looking at  
3 projections for the future?

4 MR. BRUECKNER: No.

5 MR. DOMENICA: Okay, I think that  
6 has been a good summary of the grey  
7 infrastructure, the questions to date, the  
8 parking lot issues. We're ready to move on to

9 the next item on the agenda, which is one of the  
10 parking lot issues, the critical one, and that's  
11 the affordability issues. And to address that,  
12 Mr. Turin from EPA, I believe has some remarks  
13 based on previous discussions in the workshop,  
14 Number 1 and 2, regarding affordability; is that  
15 right, Dave?

16 MR. TURIN: Even better than that,  
17 though, I brought Michael Wagner to speak to  
18 these issues because he has a lot more  
19 experience with regard to both interpreting the  
20 EPA CSO policy, which is another issue that  
21 we're discussing, and any affordability  
22 analysis, discussions that have come up.

23 MR. DOMENICA: Very good. You have  
24 the floor. And let's hold questions until Mike  
25 makes his comments.

38

1 MR. WAGNER: Is there a more  
2 precise question I could respond to, because  
3 this could go into a thousand different  
4 directions?

5 MR. BRUECKNER: I think the first  
6 question is the affordability process, the new  
7 policy. What changes are there that allow for

8 more flexibility? That was brought up. And the  
9 other is we are looking at what level of MHI  
10 median household income can be used to determine  
11 affordability? We're looking at going down the  
12 census tracts. Is it by one community, is it  
13 the whole region?

14 How is that interpreted? And then  
15 the second part of that question is how does  
16 affordability relate to achieving water quality  
17 standards? We had presented at a previous  
18 meeting based on our understanding of EPA policy  
19 that it's a requirement that for the CSO program  
20 we would need to spend up to our limit of  
21 affordability to do any program, and when we  
22 were done spending that limit of affordability  
23 and if we still didn't meet water quality  
24 standards, then we would be required to do  
25 something else to meet water quality standards

39

1 when we could afford it, and again spend to the  
2 limit of affordability. So the question is how  
3 does affordability relate to what we're required  
4 to do and meeting water quality standards.

5 MR. WAGNER: To begin with this is  
6 obviously a state led effort, and has been since  
7 the beginning. We, EPA, has been aware of

8 what's been going on, and has been following the  
9 progress. And initially, I must point out that  
10 EPA has never tried to step in or take more  
11 control over what the state has done because the  
12 progress to date has been consistent with the  
13 range of enforcement, or the range of progress  
14 that the states have been achieving, and overall  
15 I think everyone here knows that New England has  
16 been doing very well in dealing with water  
17 quality problems.

18 More expressly addressing the  
19 questions, the Clean Water Act was established  
20 as a mechanism for restoring our waterways.  
21 Essentially, the goal is and remains that we  
22 have water quality that allows for recreation  
23 and wildlife obligation across the United  
24 States, wherever that's achievable, and the  
25 water quality standards program was established

40

1 to provide encouragement and motivation and a  
2 background which allowed permitting enforcement  
3 efforts to achieve that goal. That goal has not  
4 gone away. We don't expect it to go away, and  
5 we do see some day in the future when people  
6 will be able to jump off the piers all over



7 Providence, and be able to have water that  
8 supports recreational use. When will that  
9 happen?

10 Obviously, we don't know, and it's  
11 happening at different rates around the country  
12 where resources are affordable. And we've all  
13 heard the story of Boston Harbor. It was, in  
14 fact, the dirtiest harbor in the country, and it  
15 was beyond anyone's wildest expectations that  
16 anyone would ever be able to swim in Boston  
17 Harbor in the Charles River. We're almost  
18 there.

19 It's phenomenal what can be  
20 achieved when enough effort is put into  
21 achieving that goal. So where does that leave  
22 us here? We have a program that is designed to  
23 get us roughly to four overflows a year, and our  
24 expectation, of course, is that program will be  
25 implemented. When it's done, if we can afford

41

1 to implement the program as designed, we're  
2 going to have a situation where we have a  
3 certain number of overflows a year, and we're  
4 going to then step back and look at those  
5 results and say, can we do better? Is there a  
6 higher level of control that's affordable or

7 achievable, and at what schedule do we get

8 there?

9 So at this point, it's my

10 understanding that we're looking at now, okay,

11 so we have this Phase III. Can we afford to do

12 it, should we do it, and what is the right thing

13 to do? Again, watching what the state's done,

14 we've been satisfied, and this is a process that

15 we encourage all communities to go through when

16 they get to this point. Where we are now in

17 terms of deciding what is affordable is not

18 substantially different from where we've been

19 all along.

20 If you look across New England,

21 there has been horror stories about rate

22 increases. We had newspaper articles about two

23 thousand, twenty-four hundred dollar a month

24 rates in Boston that we've never seen, and we've

25 never, ever tried to enforce anyone to get the

42

1 rates that high. We have rates in Springfield

2 less than 1 percent of the median household

3 income. Essentially, we're at that position

4 because each step along the way we look at every

5 individual community, we gather as much

6 information as we can about that community and  
7 say, what is the right level of effort from this  
8 community based on its population?

9           How that works in a commission type  
10 situation or an MWRA type situation is we looked  
11 at community by community and say, okay, if we  
12 are to adopt a schedule that requires a certain  
13 level of expenditure, what will that mean for  
14 rates to start with? And under the water  
15 quality standards program you're allowed to vary  
16 the water quality standards if achieving that  
17 water quality standards would cause widespread  
18 social and economic impact.

19           By policy, we look to wastewater  
20 rates as an initial matter. Say if anything  
21 goes over 2 percent we're going to presume that  
22 that's probably going to cause widespread,  
23 social and economic impact, so as an initial  
24 matter, that's a screening level. If it's going  
25 to go over that level, then we really need to

43

1 look closely at the community and say, okay, can  
2 this community afford to do that? And so far  
3 there's very few communities across the country  
4 that we concluded that we should be enforcing at  
5 such a level to cause that.

6 At the other end, where wastewater  
7 rates are less than 1 percent, we tend to  
8 presume that we can get up to at least 1  
9 percent, because we've seen all across the  
10 country that even at that level communities with  
11 very low income proportional to their  
12 neighboring communities, that that is  
13 achievable.

14 MS. KARP: Could you just clarify  
15 something for me. When you say 2 percent to 1  
16 percent, is it 2 percent of net income, is it 2  
17 percent of gross income, or what are you talking  
18 about?

19 MR. WAGNER: I believe it's net  
20 income, so if you look at the taxable, when  
21 people do their tax returns they have an income,  
22 so we look at household income as a screening  
23 matter. So when we looked at rates in Boston,  
24 the only place I believe to date where there has  
25 been a change in water quality standards based

44

1 upon widespread, social and economic impact  
2 concerns is in the MWRA and Boston Harbor. To  
3 reach the decision point that we were going to  
4 accept the change that the state proposed,

5 again, this is not EPA driven, this is driven by  
6 states, where the state proposed a change in  
7 water quality standards.

8 We looked at the rate impacts on a  
9 community by community basis, and so there were  
10 a handful of communities in the MWRA district  
11 that rates were going to go over 2 percent. And  
12 that's the point where we said, okay, we will  
13 not at this point, we will approve a change in  
14 water quality standards that the state requested  
15 based on an impact of over 2 percent, for two or  
16 three communities in the Boston area.

17 MR. DOMENICA: Just to clarify  
18 that, are you referring specifically to the  
19 Charles River?

20 MR. WAGNER: The Boston Harbor,  
21 itself, has actually a change in standards.  
22 Portions of the harbor have been changed. In  
23 Massachusetts they have a change in the  
24 standards for Boston Harbor which means that we  
25 didn't envision any ability to achieve

45

1 recreational uses at certain portions of the  
2 harbor for the foreseeable future, so there was  
3 a change in the CSO, which means during the CSO  
4 events you don't expect the harbor to meet those

5 standards which would support recreational use.

6 We have variances in place for other portions of  
7 the harbor, the Charles River and Mystic River.

8 In a variance, they use a specific  
9 decision that it would cause widespread social  
10 and economic impact to achieve recreational use  
11 of portions of the Charles River and Mystic  
12 River. In other words, it would cause rates to  
13 them to implement the level of control  
14 necessary, to achieve those standards would  
15 cause rates to go 2 percent for, again, a  
16 handful of communities, I believe, Revere,  
17 Chelsea, Cambridge, maybe Boston Harbor were in  
18 that situation.

19 With that again, that's the  
20 screening level. So if it's over  
21 2 percent, we said based on what else is going  
22 on in the community at this point we're not  
23 going to seek a higher level of control through  
24 enforcement effort or a permitting effort, so we  
25 can change the standards. But that's a range,

46

1 and there's a great deal of emphasis now because  
2 of pressure from municipalities, municipal  
3 organization to recognize that even under the

4 water quality standards program, that's only a  
5 screening tool. To actually look at a  
6 community, you need to look much broader than  
7 our wastewater impact.

8           You want to look at economic  
9 opportunities, you want to look at other  
10 environmental pressures, you want to look at  
11 anything that is really going to impact the  
12 amount of resources available for that  
13 community, and more specifically, what are the  
14 demands on household income in that community.

15 So if we're looking at landfill closures, we're  
16 looking at drinking water infrastructure needs,  
17 if we're looking at any type of community-wide  
18 costs that are going to impose a high demand on  
19 household income, then we want to be aware of  
20 that when we respond to a state recommendation  
21 to change water quality standards. So when  
22 we're dealing with a community that has 25 or  
23 30, or even 40 percent unemployment, that's a  
24 fact that we want to be aware of before we again  
25 react to a state recommendation of water quality

47

1 standards. So we are aware if a community has a  
2 40 or 50 million dollar need for wastewater  
3 infrastructure at the same time we're asking for

4 a 40 or 50 million dollar investment in CSO  
5 controls. We want to balance that before we  
6 make a decision, and so where rates are at .25  
7 percent of median household income, obviously,  
8 there's going to be room for a pretty  
9 substantial increase in rates before we believe  
10 that it would actually cause any negative  
11 widespread social economic impact to achieve  
12 those goals.

13 On the other hand, if you're in a  
14 community that has one and a half percent of  
15 median household income of wastewater rate and  
16 they're facing a huge expense in other  
17 infrastructure needs like drinking water and  
18 landfills. But we're all aware of what basic  
19 needs that communities have. Then we're going  
20 to look very closely. So when the state comes  
21 to us and says, we see rates of 1.75 percent of  
22 median household income indefinitely into the  
23 future, and on top of that we have drinking  
24 water needs, and on top of that we're looking at  
25 a need to repave most of our roadways because

1 it's been 30 years since we've really had a  
2 wholesale improvement in that infrastructure,



3 then we're going to be very flexible in terms of  
4 a decision not to require a higher level of  
5 control on a combined sewer overflow.

6           So it's a concerted effort to be  
7 aware of all of the costs that a community is  
8 facing when we are dealing with a recommendation  
9 to change or not to change water quality  
10 standards. That being said, the goals of the  
11 Clean Water Act aren't going anywhere. So  
12 whether it's 12 years from now, or 15 years from  
13 now, or 20 years from now, we expect at this  
14 point that the goals of the clean water are  
15 still going to be there, and that we hope that  
16 some day every community really does want to get  
17 to the point where they can say, you know what,  
18 children, feel free to play in that water  
19 because we're very sure it's safe, and we have  
20 yet to have a community that's made an  
21 investment in their infrastructure, look back  
22 and say, gee, we wish we hadn't done that.

23           MR. DOMENICA: Mike, that's a very  
24 good explanation. There's one question there,  
25 and then a couple of others that I've seen that

1 I think we want to address while we're still  
2 close to the topic.

3 MR. WALKER: You spoke about  
4 widespread social and economic impact in making  
5 a determination, yet the only thing I heard you  
6 speak about is residential ratepayers and  
7 household income. Where and when does the  
8 impact on the nonresidential consumer factor  
9 into the equation?

10 MR. WAGNER: When you're dealing  
11 with changes in water quality standards, when  
12 you're dealing with industries which are  
13 substantially water dependant in a community  
14 that has an already fairly high rate, that's  
15 something that's reported to us. And for a  
16 smaller community, that is a real critical  
17 issue.

18 Sometimes there are communities  
19 that have two or three large employers that are  
20 very dependant on water, and the cost of water,  
21 and that gets reported to us, and that is a  
22 critical part of the information we need, and  
23 that is partly where unemployment comes in. We  
24 don't want to see businesses leaving town, we  
25 don't want to see businesses shutting down

1 unnecessarily because of an immediate need to

2 address combined sewer overflow, which, again,  
3 it's a delicate balance. There's no easy answer  
4 except to say that if you look at our water  
5 quality standard handbook, impact on industries  
6 is very much a consideration, and we would  
7 expect that if you fell upon the State of Rhode  
8 Island to recommend any changes, that if there  
9 is information related to industrial use of  
10 water in NBC, that that will be part of the  
11 equation that the state looks at.

12 MR. WALKER: If I can follow up on  
13 that, that's nice, but what about every other  
14 business that isn't a water-dependant business  
15 but is a ratepayer? And when I look at NBC's  
16 tariff and I look at the residential tariff and  
17 then I look at everybody else, the residential  
18 tariff, in essence, is subsidized by the  
19 commercial and industrial ratepayers to make the  
20 numbers work, and I see big numbers now, and we  
21 keep tying back to what's the poorest in the  
22 neighborhoods so we can set affordability on the  
23 residential. But I don't hear -- although Tom  
24 said we're going to look at it, I don't see the  
25 analysis that says that we're also going to look

1 at the impact on whether or not we have a

2 competitive economic climate for businesses to  
3 be able to exist, survive, and stay and not  
4 leave the region, including region I, because  
5 our rates are so expensive.

6 MR. WAGNER: And I would say that  
7 EPA would never say what you're saying is not  
8 important. In fact, it is important. And what  
9 I think what you're hearing out of headquarters  
10 is certainly what we have tried to do in region  
11 I, is take into account information that you're  
12 suggesting. And so if the state, if it's  
13 important to you, presumably, it's going to be  
14 important to the commission, and presumably it  
15 will be important to the state when they make  
16 recommendations.

17 And if the state comes to EPA and  
18 says, look, here's the issue, we looked at  
19 wastewater rates in North Carolina, and we're  
20 looking at wastewater rates here, and we have x  
21 number of businesses that are borderline, and  
22 they have opportunities to move elsewhere,  
23 that's a key piece of information for the state,  
24 and as such, it's going to be the key piece of  
25 information for us. We do not, and again,

1 that's the extent of the emphasized look at  
2 water quality standard decisions. We want to  
3 know what the impacts are across the board. If  
4 it's material to the economic status of the  
5 community, whether it's industrial, residential,  
6 or commercial, then it should be factored into  
7 the decisionmaking, and so I urge you, with that  
8 information, as the state looks at its  
9 alternatives, make sure the state has that  
10 information, and we're going to look at it, too.  
11 If there is a change in water quality standards,  
12 then there's going to be close coordination  
13 between EPA and the state.

14 But primarily, again, it's going to  
15 be a state recommendation, and we're going to be  
16 very deferential with state decisions as long as  
17 they're the area of us. But again, this notion  
18 that EPA demand that you spend at least 2  
19 percent of the median household income and  
20 anything less than that is not sufficient and  
21 we're going to make you continue spending up to  
22 2 percent every single way we look at this  
23 without consideration of anything else, is not  
24 accurate and it's not reflective of where we've  
25 been so far. Again, we look across New England,

1 and while we have been -- everyone knows here  
2 we've been fairly aggressive on overflow  
3 litigation, we've done it in the way which we  
4 hoped that's reflective on the information that  
5 we're getting on the economic impact, and we've  
6 tried to avoid causing rates to go over 2  
7 percent. I don't think there's anywhere in New  
8 England when you look at actual costs where the  
9 rates are over 2 percent, and in many  
10 communities they're at one, one and a quarter,  
11 or slightly higher. And that's been our goal,  
12 and it will continue to be our goal. And I want  
13 to emphasize again, it's been primarily the  
14 state, and we intend to work closely with the  
15 state, support the state where it wants to be  
16 supported.

17 MR. BRUECKNER: Mike, I have a  
18 specific question for you. So when the  
19 affordability analysis is done by us, we then  
20 present the report to the state, because as you  
21 mentioned the state is controlling the program.  
22 Who makes the decision about whether or not what  
23 we're proposing is affordable, is it the state  
24 or is it EPA?

25 MR. WAGNER: In the first instance,

1 it's the state standards, and so we are not  
2 going to step into the role of the state and  
3 say, we think this is affordable, and anything  
4 less than this is unsatisfactory. However, if  
5 the state comes to us and says, look, we've  
6 looked at it, and 10 years from now the rates  
7 are going to be 3 percent of median household  
8 income, but we want to change the standards  
9 anyway, then likely it's going to be a negative  
10 reaction from EPA.

11 So all I can say is initially, it  
12 will be the state's decision. But there are  
13 guidelines that we have to look at, they're very  
14 flexible, as it stands, and we do want to look  
15 at all the impact. But in the first instance,  
16 it'll be a state recommendation, and then we  
17 will have to look at it. And just one last  
18 thing:

19 The requirement that the state  
20 continues to look into the future comes from the  
21 regulatory program which is every three years  
22 there's supposed to be an evaluation, the  
23 state's supposed to do an evaluation of whether  
24 or not further controls are achievable to  
25 obtaining the goal uses of the Clean Water Act.

1 And so, again, that will be a state led issue.  
2 And so in the first instance, in every case, it  
3 is the state recommendation to which EPA will  
4 react. It should be significant to recognize  
5 that this hasn't happened.

6 We haven't changed water quality  
7 standards anywhere else in the United States  
8 other than Boston based on CSO controls because  
9 there has been a concerted effort to make sure  
10 that we remain within the economic capacity of  
11 communities. And as we bump up against that  
12 capacity, as we appear to be doing here, we want  
13 to make sure that we're making decisions.

14 It would be a shame to make a  
15 decision now that here's so much we can afford,  
16 and so we're going to spend that, and we're  
17 going to stop now, and then recognize that 10  
18 years from now we're going to relook at that,  
19 and if we relook at it, will we have then decide  
20 that we wasted money now. So we should be  
21 looking beyond three years, five years, and ten  
22 years. Let's look into the future, and is there  
23 a way that we can achieve our goals at the rate  
24 of progress that communities can afford. And it  
25 doesn't mean that every three years we're going



1 to stop and say, okay, let's do something  
2 different. Where we ended up in the variances  
3 of Boston, is we ended up with a 15-year window  
4 where we said, okay, this is it, for the next 15  
5 years this is all we're going to expect to do,  
6 and nothing has changed.

7 And after that period, there was  
8 going to be an evaluation of where water quality  
9 standards work. So I'm not suggesting that we  
10 go look at everything three years, but it makes  
11 sense to do that when you are looking far enough  
12 into the future.

13 MR. DOMENICA: Mike, thank you.  
14 One quick comment, and then there's several  
15 questions, and I think we have about five more  
16 minutes here, or maybe ten. We could take a  
17 long time here.

18 Just in perspective being involved  
19 in this area for 30 some years, what Mr. Wagner  
20 has just related as EPA's approach to  
21 affordability is substantially more flexibility  
22 than what it was 10, 15 years ago. When  
23 affordability guidance first came out, it was  
24 pretty much by the numbers then. This is much  
25 more encompassing and flexible, and I think an

1 appropriate approach to look at all of these  
2 issues in the community as opposed to just Clean  
3 Water Act to find Clean Water Act capital  
4 expenditures and/or operating. But just to  
5 drill down on the MWA Boston Harbor standards  
6 change, it went from a B to a B CSO, but just  
7 tying it together with your comments on the  
8 triannual review of that, that is tentative.  
9 It's re-looked somewhere between every three  
10 years and every ten years, so it's not the  
11 final, necessarily final determination there.  
12 It could be the economics changed. So this is  
13 linking together from interpreting that  
14 correctly to the discussion we had at the last  
15 meeting as to how long do you have to keep  
16 spending. And there's a fact that you do get,  
17 as in Boston, the only case in the country that  
18 changed its standard, still doesn't mean that  
19 you're at the end of the line. Is that correct  
20 interpretation.

21 MR. WAGNER: That is correct. But,  
22 again, when we approved the variances, EPA  
23 rightly or wrongly approved variances for 12  
24 years. We essentially said looking ahead, we've  
25 seen 12 years for nothing. It could change

1 dramatically enough to allow for a high level of  
2 control. So we approved variances that were  
3 going to be submitted every three years in  
4 advance, knowing that things weren't going to  
5 change.

6 MR. DOMENICA: And that was a  
7 negotiated settlement.

8 MR. WAGNER: That was a negotiated  
9 settlement. And so I would say that we know  
10 enough now about how quickly economic conditions  
11 can change that we can look 10 or 15 years into  
12 the future and say nothing is going to change.

13 And so based on these resources we have, a  
14 decision, do nothing for the next 15 years and  
15 wait until we can take a high level control, or  
16 to take a new approach and say, okay, this is  
17 what makes sense now for this community. And we  
18 don't see a higher level of expenditure between  
19 now and then. So unless the Clean Water Act  
20 changes, that's the way it was written to work  
21 to see reasonable future, reasonable progress  
22 toward our future goals. And so what we  
23 encourage, and we just had a conversation, if  
24 you will, with the State of Maine over a

25 decision to put in \$40 million dollars worth of

59

1 storage into a community where it looked to us  
2 like resources would allow ultimately a higher  
3 level of control, and in looking at that and  
4 based on those resources, did it make sense to  
5 look back and say, well, we're glad we did that.  
6 But the state looked at it and said, yep, this  
7 is what we want to do, and so while there was  
8 room for a debate, and it was within the  
9 parameters of what's reasonable, so we said,  
10 okay, stepped back, and let the state implement  
11 the program.

12 MR. DOMENICA: That gives us some  
13 hope here. And Carolyn has a question, John.  
14 I'm going to just let Angelo go first because  
15 being a regulator, he may from a state's point  
16 which has primary in Rhode Island.

17 MR. BISHOP: Can I just have a  
18 point of order. I think, especially because  
19 Mike is here, this is a real critical issue, and  
20 I have a question and didn't want to jump in at  
21 first. I think a lot of people may want to  
22 continue this after the break even if it means  
23 we don't get to the entire presentation on green  
24 infrastructure.

25 MR. DOMENICA: Let's consider that

60

1 during break, but Angelo is the regulator here  
2 of record.

3 MR. LIBERTI: First of all, last  
4 time the CSO stakeholders convened, we did put  
5 forward a water quality standards change. We  
6 put it up to EPA, and we said we want to  
7 designate a partial use designation. I don't  
8 want to get too technical, but there's a  
9 difference between a variance, a slight  
10 difference between a variance and a request to  
11 change water quality standards.

12 Both of them, though, have to get  
13 re-looked at every three years, so I don't want  
14 to get too much into that. But we did take the  
15 three-phase plan, changed our water quality  
16 standards, and said these waters are not going  
17 to meet their standards when we exceed the  
18 volume of this three-phase plan, and that will  
19 be okay.

20 That's what it means to meet water  
21 quality standards. It's really misknown. When  
22 we say meet water quality standards, that's not  
23 what we meet when it comes to CSOs, unless you

24 can do complete separation, which we really are  
25 not talking about here. When we say in this

61

1 context, meet water quality standards, what we  
2 mean is we've spent enough money to meet this  
3 threshold and we've gone to EPA and we said,  
4 within your guidance, within your national  
5 consistency, we believe we've met that target,  
6 we're going to change our standards.

7 Well, when we did that back at the  
8 end of the first stakeholder's process, we did  
9 know that we weren't there. We were close, but  
10 not there. NBC had looked at a lot of these  
11 factors, then we talked about impact on  
12 business, the unemployment taxes, as I recall.  
13 They were looked at in a sort of generic way,  
14 how do they compare nationally.

15 There's not a bright light anywhere  
16 in this process. So I'm not faulting that EPA  
17 should have approved it when we submitted it,  
18 but we've been through this process. If you  
19 look at our water quality standards, you will  
20 see that we have a partial use designation for  
21 CSOs, and we actually applied those to waters  
22 north of Conimicut Point. They're still there,  
23 but they're not approved by EPA. We didn't go

24 back and take them out of our rules, but we  
25 understand that they're not really legally

62

1 applied at this point. So I did just want to  
2 clarify that. Frankly, whether it's worth the  
3 effort of trying to officially make that change,  
4 is something I really question now. When we  
5 wrote the consent agreement with NBC, it had  
6 this reassessment, and it said that we were  
7 going to reassess it and change it as needed to  
8 meet water quality standards.

9         So as that document exists, we're  
10 supposed to, at the end of this process, do  
11 whatever it takes to ship up a request to change  
12 the standards and have EPA approve it. But the  
13 presumptive approach that we hear about is what  
14 99, or everyone else in the country except  
15 Boston Harbor did.

16         They picked a plan they liked, they  
17 looked at all these factors and said, I don't  
18 care if EPA's going to approve the standard  
19 change, I'm not even going to ask them, I'm just  
20 going to proceed. And that's what most of the  
21 country did, this presumptive approach where you  
22 take all of this into account, and you just

23 proceed, and when you're done, then after you've  
24 built all your phases, you'll take another crack  
25 at it. And I think in the end this is something

63

1 this group needs to understand. When we get to  
2 the end, are we going to put this effort of  
3 shipping it up there and asking for formal  
4 approval, which is good for maybe three years,  
5 technically, or are we just going to march on,  
6 and we understand we're doing it under this  
7 presumptive approach because we think it's the  
8 right thing to do, and we'll deal with the legal  
9 technicality down the road.

10 MR. DOMENICA: Just to summarize,  
11 if I might. What you're saying, or what I'm  
12 hearing is that there's water quality standards,  
13 and then there's water quality standards.  
14 Mike's talking about national use, goal uses,  
15 fishable, swimmable everywhere that's in the  
16 Clean Water Act.

17 That's not going to change. It's  
18 going to be fishable, swimmable, and then those  
19 are the final standards right now. However,  
20 practically, as you go through these programs,  
21 you set standards, water quality standards,  
22 where it says, yes, you obtain water quality



23 standards, but they always have either a  
24 variance or a three-year or a twelve-year review  
25 of that, such that they're interim standards,

64

1 and as soon as the affordability picture  
2 changes, you could then spend up to again, back  
3 up to the affordability level to go higher up  
4 that curve to get to that ultimate fishable,  
5 swimmable goal; is that a correct  
6 characterization?

7 MR. WAGNER: I'm not going to argue  
8 with you. I don't want to say that's correct,  
9 but I'm not going to disagree. I think the key  
10 piece of that, and is consistent with what  
11 Angelo is saying is that as long as communities  
12 are making the progress that the state thinks is  
13 adequate and it's in line with what EPA might do  
14 if it were the primary enforcement agency or  
15 permitting agency, then we haven't seen any  
16 nuclear wars.

17 We haven't seen citizens stepping  
18 in and suing communities. I think there's just  
19 a realization that the goals of the Clean Water  
20 Act are -- it would be nice if we had an  
21 economic climate in the country that would allow

22 us to put some resources in to achieve those  
23 goals in the next five or ten years, but that's  
24 not happening, we're not seeing that change.  
25 And so as long as commissions, if you will, are

65

1 going through this process, they're doing what  
2 appears to be the right thing, or at least it's  
3 within the range of what we would expect the  
4 community to be doing, then there's not any  
5 over-filing, there hasn't been any disagreement,  
6 and so do we want to get into the niceties of  
7 actually formally changing the water quality  
8 standards, going through that process, having  
9 the debate?

10 It's up to the state that they want  
11 to do that. We've only done had it once in the  
12 country, and it may not be the right way to  
13 proceed. And frankly, there's, I think publicly  
14 it's been known that there's been a disagreement  
15 about this. The overarching policy of  
16 headquarters, EPA's headquarters, once you  
17 achieve your level of control in 15 years,  
18 extend whatever you can within 15 years, and  
19 everyone should be able to meet water quality  
20 standards.

21 But that's not the reality we've

22 been dealing with in region one. The reality  
23 we've been dealing with is there's been an  
24 intermittent process, where we have Phase I,  
25 Phase II, Phase III, and we're only at the point

66

1 now where we're achieving the level of control  
2 that appears to be easily affordable. So the  
3 decision on what to do next is coming down to  
4 processes like this. And we don't want to be in  
5 the position of saying you need to do a whole  
6 lot more now, and we don't want to say you need  
7 to go over 2 percent of median household income,  
8 or you're only spending one and a quarter of  
9 saying you ought to be able to go up to one and  
10 a half percent.

11 So that means you're likely to undo  
12 half of what you just spent, and we don't want  
13 to be in that position. We also want to  
14 encourage commissions not to be unnecessarily  
15 drawing hard lines that are undoable later. So  
16 whatever progress is made now, should be -- we  
17 ought to be able to build on progress now, and  
18 this is why tunnels seem like such a great idea.

19 And I'm not saying I'm trying to  
20 encourage you do to one thing or the other, but

21 when the state made the decision to go with  
22 tunnels and get down to four overflows a year,  
23 even at that point if they'd come to me today  
24 and say we want to change the standards, I think  
25 the answer would have been no, because frankly,

67

1 it appears to us that there are slightly more  
2 resources available, and major tunnels could be  
3 20 percent bigger, but that wasn't the game we  
4 were in then, and we're not in it now.

5 MR. DOMENICA: So the bottom line  
6 here, which I think is pertinent to this Phase  
7 III evaluation is, correct me if I'm wrong, but  
8 Phase I and Phase II tunnel interceptors meet  
9 the interim water quality standards agreed to in  
10 that process by DEM and EPA, however, they are  
11 not necessarily done. Phase I and Phase II  
12 could be reopened based on affordability, future  
13 affordability changes?

14 MR. LIBERTI: Not really. I don't  
15 think it's fair to characterize it that way. It  
16 was agreed that we were to proceed to Phase I  
17 and Phase II without making a determination of  
18 whether it met water quality standards. It was  
19 deemed to be the right thing to do, and that we  
20 were going to move forward, and we were going to

21 reassess it, and if necessary, change it so that  
22 it would meet water quality standards.

23 MR. DOMENICA: However, what I'm  
24 hearing EPA say is that if you had submitted  
25 that --

68

1 MR. LIBERTI: We did submit it,  
2 that's what I explained. We did submit it.

3 MR. DOMENICA: If it had carried  
4 through, they would have said no.

5 MR. LIBERTI: They did say no.  
6 They did a hypothetical, this is real life. We  
7 submitted it, that's what I was trying to  
8 explain, knowing though, I think all of us  
9 knowing that it did not really pass the test, it  
10 wasn't 2 percent based on the projections at the  
11 time, and we all know the numbers have changed,  
12 but at the time it really didn't meet the  
13 threshold, but all the work was done, it was  
14 fairly close, so we submitted it.

15 We made the change, we asked EPA to  
16 approve it, and in the end, we had some  
17 meetings, they denied the request to change it,  
18 and we modified language in the consent decree,  
19 it was drafted at the time, so that it would

20 encompass this approach. And we're going to  
21 look again in the future, and we're not going to  
22 say anything right now, anything more, but they  
23 did deny what we requested to change officially,  
24 and the consent agreement was the compromise.

25 MR. DOMENICA: And that's a good

69

1 point, and I think this is a good understanding,  
2 because the key point here, Mike, and correct me  
3 if I'm wrong, but EPA, region 1, EPA  
4 headquarters, Department of Justice may have  
5 different goals than the states.

6 And I think that if you look at a  
7 case like Milwaukee where they started a tunnel  
8 program in the '70s, spent two and a half  
9 billion dollars on a tunnel program, and my  
10 understanding is that EPA has now come back to  
11 get to one, I believe, overflow in a year  
12 because it was near Chicago's water supply, EPA  
13 has now come back and said we think you can do  
14 better, so that tunnel isn't sufficient, and  
15 they're now doing more under their CSO/SSO  
16 program to get there. So I think this is a good  
17 context to put this in, so we're looking at  
18 Phase III, but Phase I and Phase II still have  
19 some questions there. Carolyn.

20 MS. KARP: Mike, I have two  
21 comments: I want to address three Mikes, so  
22 this is very convenient here. I want to address  
23 Mike Walker, first of all, in that role of  
24 commercial activity with respect to CSO  
25 abatement. Many businesses in Rhode Island, in

70

1 fact, have lots of pervious surface, unless what  
2 we're dealing with is a combination stormwater  
3 and sanitary flow, so to the extent the private  
4 sector contributes to stormwater, they have a  
5 secure role to play in this. That's minor.

6 The bigger issue is the goals of  
7 the Clean Water Act front end actually says, the  
8 goal is restore the chemical biological  
9 integrity of the nation's waters. And then it  
10 has three legs. And one of those legs is we're  
11 going to eliminate discharges by 1985. That was  
12 going out to municipal wastewater.

13 The second one was fishable,  
14 swimmable. All of your comments that addressed  
15 fishable, swimmable, and the third is no toxic  
16 and toxic amounts, and I actually, because we  
17 have these three goals, it means, of course, the  
18 state's obligations are going to change over

19 time because we're basically trying to restore  
20 the water quality of the nation's waters and the  
21 ecosystem, not just water quality, not just so  
22 they can fish and swim, but to try to restore  
23 the entire system. So of course these standards  
24 are going to change over time, and asking the  
25 EPA to say, well, we've reached the end of all

71

1 these tunnels is fair, given that the Clean  
2 Water Act did meet that. So I actually, also  
3 then want to get to this point of the third leg,  
4 which is no toxic and toxic amounts. And I  
5 would like to make a request to have DEM and EPA  
6 basically talk to this group about looking  
7 forward 10, 20, 25 years that the issues facing,  
8 say Narragansett Bay, be contributories because  
9 I can look at it ecologically and say, we spend  
10 a lot of money at this, but it's not bacteria  
11 that is causing harm in the Narragansett Bay.  
12 We've got other problems going on Narragansett  
13 Bay, we need to address those, and the Clean  
14 Water Act is relevant in where we spend the  
15 money.

16 And I would like to hear DEM and  
17 EPA say if we actually went after no toxic  
18 amounts and we try to protect the ecosystem,



19 here's what we do, here are those costs. They  
20 need to be factored in as we're looking at CSOs.  
21 One last point about CSOs. I would like to have  
22 you, Angelo, or one of the other Michael's  
23 address this. I hope we're not looking at a  
24 point in the future where we think we're going  
25 to have fishable, swimmable standards right at

72

1 that outfall where the sewer treatment plant is.  
2 That's for the birds. I think a reasonable  
3 civilized society is always going to have some  
4 waters that are considered to be non-fishable,  
5 non-swimmable because we've made choices about  
6 other economic priorities. So there are areas  
7 that will clearly always going to be clean  
8 waters or water, and we're not going to aim to  
9 clean those up.

10 MR. DOMENICA: Mike, you can answer  
11 that in a second. I think the first point on  
12 the toxics be looked at that parking lot, Tom.  
13 It's just something to consider going forward  
14 with the planning. Regarding the second point  
15 on the fishable/swimmable. I had a question:  
16 Maine allows wastewater plants not to disinfect  
17 in the winter.

18 A lot of good reasons for it. So  
19 what they have is a parameter specific, bacteria  
20 specific preclusion from water quality standards  
21 for very good reasons that last six months, or  
22 plus or minus of the year. That seems to me to  
23 be -- I'm wondering, maybe it's a question, is  
24 that the kind of option we should be looking at  
25 for CSOs? It's been in effect for a long time.

73

1 It's a parameter specific excursion, or whatever  
2 you want to call it, water quality standards,  
3 that is permanent and reasonable. And when  
4 we're dealing with large events, which we're  
5 dealing with here in a complex heavily populated  
6 urban environment, should we be looking at  
7 something like bacteria in the same way that  
8 they look at it in Maine.

9 MR. WAGNER: Without knowing a  
10 whole lot about the rationale and specific  
11 permitting decisions, I believe that the  
12 seasonal use with bacteria has to do with  
13 various levels of recreational use in the  
14 wintertime, and so what we're not doing is  
15 impacting expected uses of the water. The  
16 problem with CSOs, of course, is that they  
17 happen in the summertime too. And so it's, I

18 think it would be inconsistent with, or  
19 certainly not consistent with what's going on in  
20 Maine, say during a CSO event.

21 MR. DOMENICA: I'm not talking  
22 about the specifics, you know, wintertime event  
23 in Maine when there's no use, but the principle  
24 of what happens in large storms.

25 MR. LIBERTI: I would have to say,

74

1 first of all, we have looked at it. Our  
2 wastewater treatment plant, I would say nearly  
3 every one of them if we allow them to not  
4 disinfect with the current shellfish use. We  
5 have a lot of wintertime sailing, frostbite  
6 sailing activities that go on in the wintertime,  
7 kayaking, things like that. So we have, you  
8 know, at DEM, taken a look at that idea for  
9 wastewater treatment.

10 Right now, NBCs not chlorinating  
11 any CSOs except to the wet weather treatment  
12 facilities at the treatment plant, and those are  
13 being disinfected, and again, at those two  
14 locations, I think you'd find water quality  
15 impact if we allowed them to stop their  
16 chlorination, dechlorination process.

17 MR. DOMENICA: I'm not detouring  
18 that we should use a bacteria waiver for  
19 wastewater plants, I'm saying the principle for  
20 parameter specific exclusion for certain parts  
21 of the year i.e. certain large storm events,  
22 when there's probably not going to be recreation  
23 anywhere, is that the principle that could be  
24 used here? And think about it, because we're  
25 beyond time. And Jan, you have the last

75

1 question here, and then we'll move on.

2 MR. REITSMA: I think I'm guilty  
3 for causing some of this discussion by objecting  
4 to something that was said a few meetings ago  
5 about the affordability policy. Well, they're  
6 trying to be balanced, so I'll start out by  
7 saying I appreciate the frustration with the  
8 cost of wastewater treatment and with a  
9 regulatory system that feels like you never  
10 done.

11 I think those are very legitimate  
12 frustrations I submitted, but it's something  
13 that it should be a collective frustration.  
14 It's not something that one party inflicts on  
15 the other, it's something that we all inherit  
16 from the Clean Water Act, and there is a reason

17 for it.

18 I'm going to end up suggesting that  
19 the affordability principle or policy does not  
20 stand in the way of us working together towards  
21 perhaps a better way of finding solutions, and I  
22 think we're losing that perspective the way  
23 we're going about this. To be very honest with  
24 you, I'm a ratepayer, too. I listened to this  
25 conversation. I have a really hard time with

76

1 it. I think that we're in a rut. We're doing a  
2 lot of finger pointing which doesn't get us  
3 anywhere. We've been doing this for years.  
4 I've been listening to people running wastewater  
5 facilities for years, basically, accusing  
6 regulators of all kinds of things, I have to say  
7 that in Rhode Island people are incredibly  
8 polite, you might even say friendly compared to  
9 people in Worcester, but you're not getting  
10 anywhere by doing what you're doing.

11 It's not as if people in EPA  
12 changed yesterday, they changed 10 years ago.  
13 They're as interested in finding solutions as  
14 you are. So let's stop already. Let's not do  
15 this blaming game. EPA is as interested in

16 finding solutions that work. They're not  
17 interested in ignoring the business interests,  
18 and it doesn't help for commerce Rhode Island to  
19 suggest that it doesn't care, or it's not  
20 looking at information. It's false information.  
21 I'm sorry, Mike.

22           Get with it, read the  
23 documentation, and let's look at EPA as a  
24 partner in finding a solution, saving those for  
25 DEM. I think the idea is not necessarily to

77

1 keep doing what we're doing, design upgrades in  
2 such a way that three years later, or five years  
3 later we're doing it all over again. There are  
4 beginnings of ideas here that could be much more  
5 proactive, much more long-term solution if  
6 perhaps we do different things like not just  
7 relying on data from the past, but looking into  
8 the future.

9           If in fact we optimize proactive  
10 alternative solutions instead of only the hard  
11 technology solutions. I don't believe for a  
12 moment that EPA is not interested in that. I  
13 happen to know they're encouraging that, even  
14 though sometimes they got flack from the  
15 environmental community for it. They're willing

16 to risk something. And my suggestion is that we  
17 look at it as a challenge that we share. That  
18 was the gist of the remarks that I made in the  
19 beginning that I don't think were captured very  
20 well in the minutes, but I suggest that is the  
21 way we move forward.

22 MR. DOMENICA: Good comments. It's  
23 fun being moderator, jump in whenever you want.  
24 From a personal perspective, taking off the  
25 moderator hats, having worked with EPA, region

78

1 1, and Angelo with a number of places in Rhode  
2 Island, there has been dramatic change and  
3 productive constructive change in how EPA and  
4 how the states work with communities, and I  
5 think that not only in affordability but in  
6 integrated approaches in looking at different  
7 technologies.

8 In a whole draft of ways there has  
9 been much better understanding that's come about  
10 the last 10, 12, whatever years with regard to  
11 this. While it may appear contentious, this  
12 issue about water quality standards and  
13 affordability is a serious, serious tension  
14 point, and it's a constructive tension point in

15 a way, it's a dialogue that has to be had.  
16 We shouldn't shy away from it,  
17 don't be afraid of it. It's a good dialogue  
18 ahead. And as Mike indicated in his comments,  
19 it's something that is not cast in stone. They  
20 look at each community individually, and it does  
21 get customized to each community which is a big,  
22 big step forward, but it is absolutely critical.  
23 And while residential customers have certain  
24 gripes, business entities are a major portion of  
25 this. Who is representing the electroplaters at

79

1 the table here?  
2 MR. BRUECKNER: No one this time.  
3 MR. DOMENICA: Why were they here  
4 before?  
5 MR. BRUECKNER: They were being  
6 regulated, and they were a big part of our  
7 ratepayer base.  
8 MR. DOMENICA: This is one of the  
9 issues that comes up. As industries move out of  
10 the northeast, where does the burden for the  
11 fixed costs of utility go, to the residential  
12 customers. So what we're seeing here is a  
13 dynamic situation where all these things have to  
14 be dealt with seriously.



15           We just can't say Kumbaya and throw  
16 this issue away. It has to be worked out in  
17 this project. And it's serious to ratepayers,  
18 residential, commercial, to water quality. And  
19 I won't go on there. Having worked in different  
20 parts of the world, the Clean Water Act and what  
21 EPA put forth in the Clean Water Act and what  
22 it's regulated now and implemented over the last  
23 four years is absolutely phenomenal compared to  
24 other parts of the world, incredible. I can't  
25 believe that they wrote that in 1972. It's

80

1    amazing in how it's made the U.S. brought us  
2    forward environmentally, but it's been through  
3    this battle that goes on, which has to be  
4    constructive, has to be polite and respectful,  
5    but it has to be there. So with that, any other  
6    critical questions here?

7           MR. MANCINI: I think we have a  
8    little say in this since we've got to approve  
9    the rates and the infrastructure monies that go  
10   to fund these projects. A little background if  
11   anyone doesn't know. The debt service right now  
12   for NBC is about eight hundred million, just to  
13   throw some numbers out.

14           The rate base right now is closing  
15 in on a hundred million. I'm not that old, but  
16 when I started it was \$20 million. So just to  
17 give you an idea where the rates have gone in  
18 the last 10, 15 years, it's just incredible.  
19 Now I understand this project has to be done,  
20 and I agree with that, but they need to take a  
21 very good look at the affordability as it is  
22 today.

23           As we speak, there are people  
24 getting shut off, and I get a lot of those  
25 calls. They just can't afford it because the

81

1 rates are going up so high, and I understand  
2 that the project needs to be done, but certain  
3 things need to be looked at, especially the debt  
4 service.

5           The debt service right now is at  
6 eight hundred million, but some of that debt was  
7 issued in the beginning of Phase 1, which was  
8 started, I believe, in '99, or 2000. And what  
9 it looks like is a 20-year period of debt  
10 service. As the original debt starts to get  
11 paid off, there will be monies available to  
12 start Phase III.

13           The problem that the division sees

14 is it seems that NBC needs a little breathing  
15 room before some of this debt gets paid off, so,  
16 in other words, starting this project in the  
17 next couple of years or three years, or whenever  
18 it's anticipated, the problem is that initial  
19 debt is not going to get paid off yet, so now  
20 you have to increase the rates until that  
21 original debt starts to get paid off.

22           So it seems like there could be  
23 some type of balance that either could get held  
24 off for a couple of more years, or a few more  
25 years, whatever it takes, to try and balance out

82

1 some of that rate base, so the original rate can  
2 somewhat stay the same, or it can offset some of  
3 the increase over the next 10 or 15 years.

4           MR. DOMENICA: That's a very good  
5 point, because oftentimes we look at  
6 affordability as a snapshot. And some of the  
7 things utilities need to think about is looking  
8 over a 20 or 30 year period in terms of trends,  
9 as well, affordability as it changes, so that's  
10 a good point. One more comment from Brian.  
11 He's been very patient.

12           MR. BISHOP: I guess I'm struck,

13 and I think I really would change the tenor of  
14 my approach, given what Jan had to say and  
15 Mike's invitation not to say Kumbaya. I believe  
16 number one, I think he spoke about a decade, and  
17 of course, was more than a decade ago, or  
18 thereabouts, when we started this. And I would  
19 say that the process pattern at NBC had  
20 something to do, along with many others, in  
21 terms of opening a better dialogue with EPA.

22         So that maintaining a skeptical  
23 presence regarding, you know, how reconstructed  
24 and flexible and sensitive to broad parameters  
25 EPA has become. I mean, I'm from Missouri on

83

1 that question. And I think I need to defend  
2 Mike Walker in that respect because it has been  
3 10 years, and the trigger we're using is still 2  
4 percent of median household income.

5         Now, I think people may adduce  
6 that, you know, household income is related to  
7 industrial progress or, you know, that type of  
8 thing, but the reference, particularly to  
9 unemployment and water-dependant businesses, I  
10 have to agree with Mike, you know, illustrates,  
11 perhaps it's an attempt to answer a part of the  
12 policy or approach that has often come up in

13 your considerations.

14 But what Mike refers to is not only  
15 an issue with EPA, I think it's an issue  
16 statewide in terms of policy, about what gets  
17 paid for by business and what gets paid for by  
18 residents in terms of the cost of operating  
19 public infrastructure, and I would hope that the  
20 considerations then that EPA affords don't take  
21 place in a vacuum, but recognize that it's been  
22 traditional in Providence, but part of the major  
23 service area businesses are taxed at twice the  
24 rate of residences. In fact, it was more the  
25 loss that it could be more of that than it was.

84

1 They're finally trying to walk that back. So I  
2 think Mike reflects, you know, a concern that  
3 any time government needs to get something done,  
4 that the effects that's expensive or, you know,  
5 threatens a cost to the voters that those costs,  
6 like a seawall to protect the voters, tend  
7 sometimes to place those costs on the  
8 businesses.

9 Now, and I'll add, though, that  
10 remarkably I agree with perhaps 90 percent of  
11 what Carolyn had to say about trying to sort

12 priorities in these wastewater investments  
13 against other things. I might not agree with  
14 her which particular pollutants I'm losing sleep  
15 over at any given moment, but my recollection of  
16 the process and Angelo, I think, said it very  
17 well.

18 Nobody thought in a sense that we  
19 were illegal or had crossed off whatever number  
20 of CSOs we did in one and two that we never had  
21 to go back. I never thought that was on the  
22 table in the original process, yet I think it  
23 would be completely disingenuous for those of us  
24 who thought we were going to take a hard look at  
25 Phase III, and then Phase III was by no means a

85

1 fate accompli in any sense, even if it was  
2 theoretically affordable. It would be absurd of  
3 us to suggest that there's never, you know, a  
4 lifetime is going to be reopener on one and two,  
5 and I think it will just have to wait for the  
6 considerations of cost from this body to  
7 determine whether we would really be looking to  
8 Angelo and DEM to look for the kind of situation  
9 that occurred in the MWRA area and in any more  
10 formalized relation, or whether we're going to  
11 go forward, really charting our own territories

12 I think we did originally, and I think that's  
13 enough said.

14 MR. DOMENICA: One last question.

15 MR. HOLMES: I have a fairly simple  
16 question for the DEM or EPA. Has anybody spoken  
17 to the shell fisherman that has been put out of  
18 work because of the combined sewer overflows?  
19 Has anybody spoken to the shell fisherman to  
20 find out what percentage of their income they  
21 have lost because they have lost access to  
22 fishing grounds? I can guarantee you it's well  
23 over 2 percent. As a matter of fact, I had to  
24 quit, and get a real job because I couldn't make  
25 enough to live on quahogs anymore because I

86

1 worked out of the Warren River, and when the  
2 upper bay closed, I had to go all the way down  
3 to Narragansett Bay, and instead of burning a  
4 gallon, a gallon and a half to get to my fishing  
5 grounds, I was now burning six to eight gallons  
6 of gasoline a day.

7 Back then it was probably 2.50 a  
8 gallon, or something, but it made a big impact  
9 when you're making a hundred dollars a day in  
10 the lower bay and making a hundred and fifty, or

11 better, in the upper bay. It makes a  
12 difference. And it's way more than 2 percent.  
13 Has anyone gone to the shell fisherman, gone to  
14 the docks and say, how much of a difference does  
15 it make to you if the upper bay is closed?

16 How much of a difference does it  
17 make to you when you lose grounds like Hundred  
18 Acre Cove and the Palmer River and the Kickemuit  
19 River? The Kickemuit River was open for 350  
20 years, granted the Providence sewer plant has  
21 nothing to do with that, but it makes a  
22 difference in the Barrington River and the  
23 Palmer River. I had a two thousand dollar week  
24 in the Barrington River one year. Holy smokes,  
25 are you kidding me. That was huge. And

87

1 Carolyn, if you want to know what toxics are  
2 going into Narragansett Bay, you need to talk to  
3 the Narragansett Bay Commission to the  
4 pretreatment program, and find out, because the  
5 toxics going into the bay in the last 20 years  
6 have dropped by greater than 98 percent, so talk  
7 to them.

8 The only person today that has  
9 mentioned shell fisherman as a viable job is  
10 Angelo. I've heard it once. Fishable, what is



11 fishable? Is that bass, bluefish, what about  
12 shellfish? It's a fish, it's a mollusk. Rhode  
13 Island is increasing. Its agriculture is  
14 growing by leaps and bounds. There's a guy down  
15 in the Matunuck, the Matunuck Oyster Bar, have  
16 you ever been there.

17 He shucks his own oysters. He  
18 grows them in the pond and he opened a  
19 restaurant, and he's got a huge -- I mean,  
20 people stand in line. I've stood in line to get  
21 into that restaurant to eat that guy's oysters  
22 on a half shell. I love them. When I get an  
23 opportunity to go someplace to eat I can afford,  
24 I drive all the way around the state, and who  
25 does that. I don't even stay over night on the

88

1 West Bay. I drive back home again. Nobody in  
2 Rhode Island does that, but I've done it. My  
3 question is, have you talked to the shell  
4 fisherman in Maine? Soft shell clams, Boston  
5 Harbor, soft shell clams. They're million  
6 dollar industries. Has anybody in this room  
7 thought about that? I know I do, that's why I'm  
8 here.

9 And I've been doing this since

10 December 18th, 1989, when I went to room 315 in  
11 the State House and spoke before Jack Reed when  
12 he was a state senator, and a guy named Norton  
13 from Fall River about pollution, and what are we  
14 going to do about point source pollution and  
15 non-source pollution. There's more to this than  
16 fishable, swimmable and how many jobs inside  
17 Rhode Island Commerce, but I know your jobs are  
18 important, but my jobs are important, too.

19 MR. DOMENICA: Thanks Phil. Well,  
20 I think this frames the issue very well. I  
21 think there's been a lot of understanding, good  
22 points raised here and good discussion. Mike,  
23 any comments, any final comments?

24 MR. WAGNER: I would say that we do  
25 consider shellfishing in a lot of our actions,

89

1 and we don't necessarily talk about it publicly,  
2 but the word fishable is intended to include any  
3 type of environmental life, if you will.

4 MR. HOLMES: Just use that word  
5 once in awhile, just for giggles.

6 MR. WAGNER: In dealing with  
7 Gloucester, we hear a lot from the shellfish  
8 industry. And you can see the difficult  
9 position that the agency is in with having to

10 respond to the pressure on your livelihood and  
11 your very existence, and on the other hand,  
12 other pressures. And that's the balance we're  
13 taking.

14           It's because of interest such as  
15 yours, it's because of interests such as yours  
16 that we didn't say yes to Rhode Island's  
17 proposal to change water quality standards,  
18 right, and that's why we're suggesting that we  
19 don't want to necessarily change those  
20 standards, we want to continue making progress  
21 as much as we can. And the thing is, which is  
22 slightly contradicting what I'm going to say to  
23 you now, neither did we come down here and say  
24 to Angelo, Angelo, you wimp, what the hell are  
25 you doing, you can do much better than that and

90

1 much faster. This is the balance that we're  
2 looking for communities to make, and we haven't  
3 drawn a line, and say, this is good enough. And  
4 your expression of interest, I hope, is balanced  
5 in the decisionmaking. Okay, how quickly can we  
6 get there? And that's kind of a dilemma we're  
7 looking for. We want to get there as quickly as  
8 we can, not be too overbearing, recognize that

9 we've got a lot of conflicting pressures here,  
10 and as long as we keep making progress, we're  
11 heading in the right direction.

12 MR. HOLMES: I just want to say  
13 that what the Narragansett Bay Commission has  
14 done so far, we are very pleased with, because  
15 it has made an impact and access into the upper  
16 bay. Do we want to see more, yeah, we want to  
17 see more, but it's not just the Narragansett Bay  
18 Commission that needs to do it. We need to look  
19 at some of the cities and towns around here that  
20 have gotten soft on sewer connection, and stuff  
21 like that.

22 MR. DOMENICA: Good point, though.  
23 Just to get to your point about shellfishing,  
24 the reason why bacteria is probably the  
25 primarily driving pollutant here is because of

91

1 shellfishing, the reason the focus is on  
2 bacteria is for the shellfishing business.  
3 There's a lot of other issues here. And  
4 Carolyn, we have to move on. Montgomery Watson  
5 is going to be pressed to get their presentation  
6 in in 50 minutes on green infrastructure. So  
7 let's take a 10 minute break and come on back.

8 (SHORT RECESS)

9 MR. DOMENICA: That was a great  
10 discussion with excellent points, but we need  
11 about five or ten more minutes to cover this.  
12 If you have to leave the presentation will be on  
13 the website. Please look it up and follow  
14 through it so we're ready for the next  
15 stakeholder workshop. Rich?

16 MR. RAICHE: It might be a little  
17 difficult to shift from far-ranging policy  
18 discussions, and I think everyone intuitively  
19 here may have a very large indication on what  
20 we're talking about for Phase III and beyond, to  
21 some detailed engineering-type analysis here,  
22 but I think in the spirit of what Jan had said,  
23 I think the idea now is to move forward  
24 collaboratively and try to look at some  
25 innovative solutions, both in the near term and

92

1 long term, so I appreciate your attention here  
2 as we go into the next three hours of our  
3 presentation.

4 (LAUGHTER)

5 So we'll start with just an  
6 overview of where we are in our stakeholder  
7 engagement process, and give a general overview

8 of green stormwater infrastructure, which is the  
9 title of today's topic. In the context of the  
10 CSO program, we'll spend most of our time  
11 getting down to some details for how we actually  
12 may apply these in the Phase III areas, and then  
13 zoom back out, and describe to you how we're  
14 able then to from the detailed analysis  
15 determine what the area wide benefit from  
16 implementing GSI throughout the Phase III area,  
17 and how that translates to CSO benefits.

18 We were hoping to wrap up today's  
19 discussion with a summarization of our  
20 discussions here. We may push that detailed  
21 discussion to the heart of the June meeting  
22 where we end up.

23 So, again, last month we focused on  
24 developing grey alternatives which Tom hopefully  
25 summarized. For the head of this meeting today,

93

1 we're looking for grey infrastructure  
2 alternatives. The idea of sort of widening our  
3 focus, looking at a wide range of options and  
4 what they look like in the Phase III area.

5 The next two meetings will then  
6 narrow that down, evaluating those different  
7 options and alternatives to then try to work

8 towards a cohesive plan. And our time frame

9 here is that we do that by the fall.

10 So our format again will issue a  
11 category of GSI, described in general some of  
12 the advantages and disadvantages of those  
13 technical approaches, and then dive down with  
14 some examples, specifics, because in general, in  
15 my view, talking about these things in abstract  
16 terms doesn't lead to the sort of conversations  
17 as it does if we have a specific example, or  
18 even sort of put meat on the bones, and generate  
19 some decent discussion.

20 Again, invariably, as we start  
21 looking at those details, we may start venturing  
22 into discussion of how to evaluate those  
23 options, those alternatives. That's not the  
24 focus of today, that's the focus of the June  
25 meeting. It's great to have those ideas,

94

1 because again in the abstract it's hard to do  
2 those, what your evaluation criteria are, so if  
3 they come up, please do offer them. We'll put  
4 them in the parking lot, and it will become the  
5 basis of the June meeting.

6 So before we get any further, I do

7 want to put this in the context of the  
8 regulatory context. While we are sort of on the  
9 leading edge looking at the green stormwater  
10 control of the CSO program, we're not in  
11 uncharted territory.

12 EPA, particularly on the  
13 enforcement side, has been a big proponent of  
14 incorporating these sort of green stormwater  
15 controls throughout the watersheds in efforts to  
16 reduce CSO volumes, and particularly seeing them  
17 as having other benefits in the watershed in  
18 terms of community benefit and reduction.

19 EPA is a champion of this, and I  
20 will not read all of this -- these handouts will  
21 be on the website in case anybody does. But in  
22 terms of how to incorporate this guidance and  
23 how to incorporate into a long-term control  
24 plan. The big takeaway from this, and I think a  
25 question that needs to be answered is that in

95

1 general, in very few rare instances could GSI be  
2 the total encompassing solution for the CSO  
3 program. EPA's experience nationwide is that  
4 GIS can help reduce the size of associated grey  
5 infrastructure to control CSO discharges, and  
6 tend to be a cost benefit in there in terms of



7 reducing that grey infrastructure.

8 But in almost no cases are there  
9 any examples where the green stormwater control  
10 can entirely eliminate the grey alternatives.  
11 So these things really need to be done in  
12 concert of each other. Again, our focus today  
13 is in the Phase III areas, so we're looking  
14 primarily at Central Falls, Pawtucket and a few  
15 adhesives of northern Providence.

16 Now, so when we're looking at grey  
17 infrastructure alternatives and designing them,  
18 it is somewhat simple because it is the source  
19 pathway receptor model that we talked in the  
20 first meeting, it's a respecer type of  
21 solution.

22 You're at the end of time, you know  
23 what your CSO volume is because you have a pipe  
24 discharge and you can size your infrastructure  
25 around that. When it comes to green

96

1 infrastructure, you have to look the other way  
2 around. You have to look out in the region of  
3 the watershed because you're looking at source  
4 control, and determine from an ecological  
5 technology standpoint, what can be done out in

6 that water shed to reduce stormwater flow into  
7 the combined system, and then work your way down  
8 to the end of the pipe and figure out what your  
9 CSO benefits are.

10 So we've got three sort of major  
11 categories that we can think of. I'd like to  
12 break things in sort of sizable chunks that we  
13 can discuss it. Infiltration is the sort of  
14 main approach that we prefer. Again, the idea  
15 behind this is trying to mimic the original  
16 natural hydrologic cycle, increasing the  
17 impervious area that then increases runoff.  
18 We're trying to reverse that.

19 So the idea is to keep the  
20 rainwater as close to where it falls as  
21 possible, and infiltrate it into the ground.  
22 These are typically intensive systems that do  
23 require a lot maintenance, because you do need  
24 to maintain the permeability of a pavement or a  
25 soil matrix if you have sort of a planting. You

97

1 don't want any of that to get compacted and then  
2 become hard and promote runoff. So you have  
3 quite a bit of significant ongoing maintenance  
4 to make those things continue to work.

5 Then the next sort of stage is the

6 detention sites. This could be along the lines  
7 of detention basins that you see in subdivisions  
8 that temporarily holds water year to year, is  
9 that you're not entirely keeping runoff from  
10 getting into the combined system, you're just  
11 detaining it during those periods of time when  
12 the interceptors are stressed, and that's what  
13 leads to the CSO. So you hold it for a while  
14 and then release it later when you won't be  
15 having a CSO event.

16 The final group and that, of  
17 course, requires some moderate maintenance to  
18 keeping silt out of the basins or whatever of  
19 the particular technology is. The final  
20 category is retention where you keep things on  
21 site and then reuse that rainwater for some  
22 other purpose.

23 This is difficult to do in a  
24 retrofit situation where we are essentially here  
25 with these developed areas. These are the sort

1 of things that you hear in terms of building and  
2 preservation and this sort of approaches where a  
3 new development maybe able to harvest rainwater  
4 for toilet flushing. In a retrofit situation it

5 becomes a little more difficult to do.

6 It's also important to note that

7 these sort of have higher operational

8 requirements because you're then capturing

9 rainwater for reuse and you have to pipe it

10 elsewhere, so you're going to have an ongoing

11 operation in addition to the maintenance

12 considerations.

13 MS. KARP: So if you have a

14 constructed wetland in the street where the sea

15 -- in the Moshassuck, is that a detention

16 system?

17 MR. RAICHE: Generally, I would

18 call it a detention, yes. You could have a

19 retention type that doesn't outlet, that would

20 then require either infiltration or

21 evapotranspiration as the exports. You could

22 sort of bridge into their detention plant

23 generally. So when we're looking to apply GSI

24 techniques you're there obviously through

25 technical considerations. The primary is what

99

1 kind of soils you have. You're taking up a

2 whole litany of GSI techniques off the table.

3 Generally, you want someplace that's flat, less

4 than 5 percent slopes, because you're in very

5 steep areas, over 25 percent is essentially in  
6 between but it's by a case-by-case basis.

7 Now, most of our Phase III areas  
8 you do have some favorable soils on  
9 infiltration. Areas around Pawtucket and  
10 Central Falls, soils that generally infiltrate  
11 are shaded in these blue colors. The unshaded  
12 areas are not that conducive for infiltration.  
13 So you see the areas that probably won't work  
14 are around East and Hope Street in Pawtucket and  
15 Providence, so essentially that ridge line that  
16 defines sort of the Moshassuck basin and the  
17 Blackstone Seekonk basin, those don't have very  
18 good soils.

19 We also have areas where the soil  
20 data that we have is masked by past development,  
21 because the large industrial area, the  
22 historical area is very hard to determine what  
23 the underlying soils are because there is so  
24 much disturbance during that original  
25 development in those areas. Those areas may

100

1 also be more prone to contamination issues, and  
2 so we probably wouldn't want to put infiltration  
3 type solutions in these areas, and then run the

4 risk of making the contamination migrate. But,  
5 you know, it is on a case-by-case basis, so in  
6 general our potential is a little bit lower, but  
7 we don't necessarily take it off the table, we  
8 actually do have an example that specific site  
9 example later, which we'll get to about 2:00.

10 UNIDENTIFIED SPEAKER: Before you  
11 get to that, do you automatically exclude the  
12 impervious surface paved area?

13 MR. RAICHE: No, this is the  
14 underlying soil. So you could be removing a  
15 parking lot and putting a permeable pavement.  
16 Most of this area is impervious. In terms of  
17 slopes, in terms of determining where we can and  
18 can't do GSI, again, we've got large areas where  
19 we're relatively flat and very high potential.

20 As it happens, that ridge between  
21 the Moshassuck and Seekonk, Blackstone where  
22 we've got the unfavorable soil, also happens to  
23 coincide with steeper slopes, so you certainly  
24 have the same blackout neighborhoods in terms of  
25 where our GSI potential is low. The next

101

1 criteria that we need to look at is land and  
2 ownership. In terms of selecting GSI, you do  
3 need to look at what your development density

4 is, because, you know, some techniques require  
5 more square footage on the ground than others.  
6 We have buildings that are very close together  
7 where we're kind of tied into certain green roof  
8 kind of solutions, where we can think about  
9 water quality swales, and other approaches like  
10 that.

11 It also benefits the one who owns  
12 the land. Clearly, this is something that we do  
13 out to reach the watershed, and a lot of that is  
14 privately owned. So we would be looking at the  
15 potential of implementing these on private  
16 property. There's also potential of doing the  
17 same sort of technologies within the public way,  
18 which in this case may require some sort of  
19 public partnership between NBC and member  
20 communities.

21 In the interest of time, we can go  
22 quickly through these. They will be on the  
23 website if you want to look at them. The idea  
24 is to match specific technologies to different  
25 land use types with the recognition that whether

1 you're looking on-site or the public way, you  
2 have different variances of the technologies

3 that you can consider. Then there is the issue  
4 of how do you implement it? You know, in this  
5 instance, even work in public ways would require  
6 collaboration between NBC and the member  
7 communities.

8 In terms of private development or  
9 work on private land, there has to be sort of  
10 partnership between NBC, the number of  
11 communities, and the landowners. So with that,  
12 I'd like to yield the floor to Scott Lindgren  
13 from Pare. Again, we'll dive into some details  
14 here, and hopefully facilitate some discussions  
15 on the different technology.

16 MR. LINDGREN: Thank you, Rich.  
17 Scott Lindgren with Pare Corporation. It's nice  
18 to see everybody today. As Rich indicated, I'm  
19 going to spend a little bit of time talking  
20 about some of the different types of GSI  
21 stormwater infrastructure that we could maybe  
22 implement in the Phase III area.

23 As Rich indicated, we're going to  
24 start with infiltration solutions. These are  
25 typical examples, they're not all the examples.

1 As Rich indicated, he had spoken about green  
2 roofs or water quality swales, but for this



3 presentation we're going to concentrate on a few  
4 that we feel that may be alternatives that we  
5 could look at in the watersheds.

6           Shown on the screen here is just a  
7 typical public way streetscape. And just to  
8 step back, I will reiterate that anything that  
9 I'm showing here today can be utilized either in  
10 a public way or a public area, or on a private  
11 property, and it hasn't been implemented over  
12 the course of some of the programs that I'll  
13 talk about NBC having later on. But this case,  
14 it's just a public way.

15           For example, we have stormwater  
16 rain garden bumpouts which are erected on the  
17 shoulders where we'll talk about those. Tree  
18 box filters, tree box trenches, pervious  
19 pavement solutions. Just to begin, stormwater  
20 rain gardens: Stormwater rain gardens are a GSI  
21 alternative that in this case is showing as a  
22 midblock installation along the curb line of a  
23 public way, where it allows stormwater along the  
24 gutter to be intercepted prior to the receiving  
25 catch basin that discharges to combined sewer

1 for most infiltration through underlying soils

2 that are permeable, and before this case, is a  
3 bypass solution where it would then flow through  
4 and into the system, but it does provide a water  
5 quality and infiltration alternative to catching  
6 stormwater along the streetscape.

7 A tree box filter is similar to a  
8 rain garden, except that it's in board of the  
9 street line. It's usually placed as you see in  
10 the lower right, along a walkway system, where  
11 the stormwater is intercepted, either within or  
12 before the combined sewer inlets, and there's  
13 usually an underlying force media that filters  
14 water quality and filters infiltrated stormwater  
15 into the underlying soils.

16 These, as with rain gardens, once  
17 they're full, they take as much stormwater as  
18 they're designed for, and it bypasses to inland.  
19 Another alternative are catch basins dry wells,  
20 which are installed along the edge of the  
21 roadways, so they don't have any vegetated, what  
22 you'd say green, to them, but they are a GSI  
23 technique to infiltrate stormwater within the  
24 watersheds. Another section is the infiltration  
25 chambers. These are usually larger

1 installations. A lot of these you'll find when

2 either new or retrofitted construction, that  
3 they're constructed underneath parking lots,  
4 taking roof runoff or parking large impervious  
5 surfaces, and with good underlying soils there  
6 can be a direct volume recharge that does not go  
7 to the combined sewer.

8 Another example, pervious pavement.  
9 There's a number of different types that can be  
10 utilized in parking areas, along walkways and  
11 along streetscape, and in this case, private  
12 development. They can be pervious pavement or  
13 pervious concrete, or in this case in the lower  
14 pervious paver types that you see around here in  
15 different installations for driveways or  
16 parking, they do work for infiltration, and they  
17 do work very well.

18 The more residential scale besides  
19 implementing a rain garden or disconnecting  
20 their roof runoff directed onto lawn surfaces,  
21 this is just a ribbon driveway, which you've  
22 probably seen around the communities. It's just  
23 taking the impervious surface that normally  
24 isn't driven upon on driveways and replacing it  
25 with a grass strip that can be maintained. In

1 this case, it's a small amount, but you can see  
2 the benefits and the amount of impervious  
3 removal if this was a standard case around the  
4 communities. As Rich indicated, the soils and  
5 infiltration are a big part in implementing GSI  
6 in any of the watersheds.

7 In this case, we're going to take a  
8 look a little bit, focusing on the CSO 39 and 56  
9 area, where you can see that everything that is  
10 shown here that is in color is a good  
11 infiltration characteristic in underlying soil.  
12 So there's good opportunities. And as the  
13 topography, you can see mostly in the greener  
14 shade, it definitely has the flatter slopes in  
15 certain areas where we can implement some of  
16 this GSI.

17 So I took a look at the typical  
18 watershed, and just to give an example, this is  
19 Grand Broadway Street, which is just off of  
20 Douglas, and this which is kind of hard to tell  
21 here, but this is about a 40-foot plus roadway  
22 for a residential area, and it's an extremely  
23 large amount of impervious surfaces. There is  
24 some parking that's done along the side streets,  
25 but in general, it's wide open. So we took a

1 look and said, well, what could we do? GSI  
2 alternative: In this case, we put in some  
3 stormwater rain garden bumpouts, maybe some  
4 pervious pavement shoulder. There's still  
5 parking areas allowed for the residents to be  
6 there, but it will intercept the stormwater  
7 before going to the combined sewer inlands,  
8 which there's actually one right at the lower  
9 right-hand corner, so the slope is towards you.  
10 So you can see pervious pavement shoulders,  
11 stormwater rain garden bumpouts, and the water  
12 is filtered, infiltrated before it goes into the  
13 sewer.

14 MS. KARP: Is the census that these  
15 two areas would be intercepted?

16 MR. LINDGREN: No, that's where you  
17 get into design. Definitely the opportunity is  
18 there because of the underlying soils, so each  
19 of these would be sized accordingly to the  
20 percentage that you want to infiltrate and  
21 remove.

22 MR. WALKER: As I look at this with  
23 the pervious pavement shoulder, it's my  
24 understanding that that material needs special  
25 treatment in the wintertime that normal asphalt

1 pavement or other surfaces can have ice melt and  
2 salt, and that sort of stuff, where pervious  
3 pavement loses all of its effectiveness, or  
4 essentially gets clogged or ruined if you use  
5 those treatment chemicals. What does that do  
6 for keeping the streets open in our New England  
7 climate, and essentially when the frost line  
8 comes up, does it stop working?

9 MR. LINDGREN: That's a good  
10 question. First one was obviously the pervious  
11 pavement has a definite maintenance criteria to  
12 it. And part of it is a yearly vacuuming and  
13 cleaning to remove that sediment that would clog  
14 the pores. The second piece was about chemical  
15 applications. And most in most cases when I've  
16 worked with local communities and DPWs, those  
17 chemicals have been looked at in terms of safe  
18 application where there wouldn't be a  
19 contamination issue with underlying  
20 infiltration.

21 But if it is pervious concrete,  
22 then there is more than that pervious pavement.  
23 The third question was whether during a storm  
24 event, during the frost, would it not work? In  
25 our experience usually during a storm event the

1 ground water and the temperature is such that it  
2 actually does infiltrate during that process.

3 This is just another example in the same  
4 watershed of Vandewater Street, which you can  
5 see is a more narrow street, walkways on both  
6 sides.

7 In this street, it doesn't have a  
8 lot of inlets along its length. From here to as  
9 far as you can see, there's no inlet to the  
10 combined sewer, so there's long reaches of  
11 pavement that eventually get to the intersection  
12 where there's one curb inlet. So what can we do  
13 here? The alternative is to interdisperse  
14 something that would be either a tree box filter  
15 or a dry well, which would infiltrate the  
16 stormwater before it gets to the corner curb  
17 inlets.

18 So there's opportunities to do some  
19 combination here in a smaller scale to  
20 intercept. In this neighborhood, actually,  
21 there are a combination of dry wells and  
22 combined sewer inlets already in certain areas.  
23 So you can see that there are opportunities to  
24 install these. Obviously, advantages and  
25 disadvantages obviously provides infiltration

1 volume reduction, and obviously a water quality  
2 improvement. And these types of infiltrations  
3 can be on a larger scale, but they can be  
4 installed on a smaller scale. Underlying soils  
5 and infiltration characteristics are important  
6 to this design, and as brought up as part of the  
7 question is maintenance as a key component,  
8 whether it be a pervious pavement or the small  
9 rain garden application. It is a higher  
10 intensity because you want to keep the  
11 underlying infiltration characteristics  
12 positive.

13 MR. SULLIVAN: What is the  
14 liability assessed with infiltration and  
15 nonpoint pollutants into private properties, is  
16 there any assessment for remediation or  
17 liability if it's discovered at the point of  
18 infiltration?

19 MR. LINDGREN: As Richard  
20 indicated, the environmental considerations for  
21 contaminates soils, especially in the urban  
22 areas, are such that you're not going to look at  
23 infiltration because of the liability of  
24 migration for contaminated, in particular. So  
25 each of these cases, and specifically as we're



1 going through the GSI alternatives, in the  
2 investigation stage on a case-by-case basis  
3 would have to make that decision because there's  
4 a requirement that infiltration not be done with  
5 soils that have a contamination problem.

6 MR. SULLIVAN: In terms where you  
7 have properties with non-contamination and you  
8 bring in non-point pollution such as a school  
9 bus going by breaches its radiator, now you have  
10 BOCs, PCBs going into the soil which is  
11 nonpoint. How do you assess that liability when  
12 it will infiltrate on a private homeowner or a  
13 commercial business that may deal with petroleum  
14 products, or those type of products?

15 MR. LINDGREN: It's easier to  
16 answer the question of a private entity that  
17 deals with petroleum products. Obviously, we  
18 would not design these types, or they would have  
19 a containment aspect to it for spill containment  
20 before the infiltration system, whether it be a  
21 system like this, or whether it be a detention  
22 type of system. The consideration of just an  
23 accident happening, I don't have any costs to  
24 kind of outline for you what that might be.

25 MR. REITSMA: Two things: One is I

1 want to echo Carolyn's question about is there a  
2 way to quantify what kind of difference this can  
3 make in terms of how much flow can be diverted?

4 MR. LINDGREN: Well, we actually  
5 have an example later of a specific project, and  
6 it will kind of give you a sense of the type of  
7 volume that's being used.

8 MR. REITSMA: The other question is  
9 about co-benefits. For example, when you look  
10 at some of these solutions, they have  
11 co-benefits in the area of climate change, and  
12 Sheila may be able to comment on this further.

13 There may already be research  
14 indicating how those can be quantified in terms  
15 of actual benefits. But is there a way in this  
16 process to take those into account so that they  
17 can be considered as you consider the relative  
18 advantages of one solution compared to others.

19 MR. RAICHE: That's an excellent  
20 example of an evaluation criteria that we want  
21 to discuss in June. So if we could, in interest  
22 of time, table that for now, and we can get into  
23 that in June.

24 MR. HOLMES: If you look at any

25 parking lot or any street, and oftentimes you'll

113

1 see a bump, and there's this big brown spot, or  
2 black spot right after the bump where people's  
3 cars when you hit the bump, the oil that's  
4 dripping out of the engine, or whatever,  
5 transmission fluid, falls off the car, and now  
6 you've got an oil problem on the street, and  
7 when it rains the oil's going to flow because  
8 that's part of the first flush that every  
9 municipal sewer system has to deal with is that  
10 oil flow.

11 And now you're directing that  
12 directly into the water table. And then the  
13 other thing is the silt that builds up in the  
14 rain gardens and the tree gardens, and stuff  
15 like that, you get silt into it, and it builds  
16 up and eventually the dry well is useless. I  
17 mean, I've had to rebuild dry wells at my house  
18 a couple of times over the years because the  
19 sand comes off the roof, or whatever,  
20 micromediated, and they say they can get them  
21 off your roof, too. I mean, there's always dust  
22 and dirt in every -- they all clog up  
23 eventually.

24 MR. LINDGREN: And to answer your

25 question. There is ongoing maintenance that's

114

1 definitely required.

2 MR. HOLMES: So it's not that you  
3 can dig out and put all new stones in it?

4 MR. LINDGREN: In some instances  
5 depending on the volume sediment, there might  
6 not be.

7 MR. HOLMES: Who pays for that?

8 MR. LINDGREN: Well, that's an  
9 agreement between whether it's a public or  
10 private entity. If it's a private entity,  
11 obviously a private entity has that  
12 cost-bearing, and if it's a public, those are  
13 public dollars. And in terms of the oils,  
14 there's design criteria that can be done to  
15 before any of these rain garden type facilities  
16 that could capture the oil with a, to capture  
17 the particulars before it hits the rain garden.

18 MR. DOMENICA: Just a request here.  
19 If it's a clarifying existing information being  
20 requested, we'll look at those questions, but  
21 we're going to have another chance to come back  
22 to each of these alternatives and talk about  
23 pros and cons and evaluation criteria, so in the

24 interest of time, let's minimize questions.

25 Brian has a critical one, though.

115

1 MR. BISHOP: I appreciate what Phil  
2 put on the table, because while we might try and  
3 look at your example and see how much flow is  
4 reduced, and whether there's even any sense  
5 looking at these at all, the maintenance side,  
6 it's critical to look at, and then the other  
7 benefits, I think an important negative  
8 consideration, not in whole, but a narrow one  
9 that should be part of that is anybody who  
10 actually works with sewer infrastructure  
11 understands the trees are the enemy, and we have  
12 a very densely built city, generally, with clay  
13 tile sewers.

14 And trees are an enormous problem.  
15 And they're most often put right over the sewer  
16 because that's the only thing that's not marked  
17 when they go to put trees in. Now, that doesn't  
18 mean somebody thinking about it might not think  
19 differently, but it goes to some of the further,  
20 like sewer separation questions. This could be  
21 something you change forever. It could be the  
22 greatest thing, and maybe we should all be out  
23 there with our shovels, but that's the point.

24 MS. DORMODY: Maintenance is not  
25 unique to green infrastructure solutions. Grey

116

1 infrastructure also has very significant and  
2 costly maintenance requirements that we may or  
3 may not spend, or we might spend it when  
4 emergencies happen, but just as we are looking  
5 at these different approaches, some of the  
6 requirements are going across whatever we decide  
7 to do.

8 MR. LINDGREN: Thank you. As we go  
9 forward, I'm going to have to speed up a little  
10 bit. I think there are some important things  
11 that are on the back end. So in the next couple  
12 of slides, they're going to be detention and  
13 retention.

14 I think we can generate some real  
15 good conversation if on the next slides, and it  
16 really specifically plays into the Narragansett  
17 Bay's stormwater mitigation program. So these  
18 slides are going to be up here, and we can  
19 continue the conversation.

20 But detention solutions have a lot  
21 of hydraulic controls that are necessary to  
22 actually have an end of pipe detention systems,

23 so hydraulic controls are a key point to  
24 detention systems that we want to consider as  
25 we're looking at them as GSI alternatives. And

117

1 when I say GSI alternatives, you have to figure  
2 that usually detention systems or retention  
3 systems have some soil infiltration or green GSI  
4 alternative placed in them. And in part of this  
5 is for detention is stormwater detention  
6 examples.

7         You've probably seen them around.  
8 There's two examples around, some around the  
9 state. The top in Bristol, and then URI, and a  
10 few others in parking lots. They're there to  
11 detain and reduce peak stormwater discharge.  
12 But in most cases, they also have an  
13 infiltration characteristic to them.

14         Underground stormwater detention  
15 systems are more structural. They're usually  
16 more in the urban sense, because they can be  
17 placed under parking lots. In this case they do  
18 the same thing. They reduce peak stormwater  
19 discharges. We have a couple of examples here.  
20 Just coming back to just an example is CSO 35.  
21 You can see the soils are not very favorable to  
22 infiltration, so we look at opportunities with

23 the slopes that we have in this watershed to  
24 hydraulically throttle the stormwater to an area  
25 where we can paint it. And in this case,

118

1 there's the center area and suitable slopes  
2 bringing it down to North Main Street. It's  
3 possible through design to try to capture  
4 stormwater through troweling the existing catch  
5 basins to collection point down at lower North  
6 Main Street.

7 As you can see, this is North Main  
8 Street, but there's opportunities that could be  
9 a stormwater detention along the shoulders or  
10 medians that would detain the peak flows. It is  
11 disturbance to the non-traveled way, and there  
12 are, obviously, costs associated with that. But  
13 we try to say that in combination, minus the  
14 pervious pavement, and you can see some  
15 stormwater bumpouts that can be over above the  
16 detention system.

17 They can be placed on the shoulder,  
18 they can be utilized in the center median. It's  
19 possible to reduce any of the underlying soils  
20 there for some infiltration and some water  
21 quality. So we've got a couple of those.



22 Advantages are reduction in peak flows and water  
23 quality improvement. Retention solutions: As  
24 Richard indicated, this is more of a retain and  
25 reuse. A lot of newer developments or existing

119

1 developments in mills and such around the  
2 communities use a retention system to retain and  
3 utilize it for fire protection, irrigation,  
4 flushing of toilets, and whatnot. It is a  
5 structural approach, but it removes stormwater  
6 from the system. Another section is the  
7 stormwater well.

8 As Richard indicated, it can be a  
9 detention system with metering back out, but in  
10 some sense, it can be a retention which is a  
11 more natural solution. It definitely needs a  
12 larger land area, which might not be a fitting  
13 for some of these urbanized areas. So we kind  
14 of took a look at this watershed and said, you  
15 know, how can we apply some retention aspects to  
16 it?

17 The soils underlying it are more  
18 urban, so it's spotty of whether it's actually  
19 infiltration or not. There's some surrounding  
20 soils that might preclude that say that this  
21 area might have some good infiltration, and the

22 topography seems favorable to try to combine  
23 retention and infiltration, so we just took a  
24 look at some of the parking areas, large expanse  
25 areas. This one is on Roosevelt Ave, next to a

120

1 mill. It can be utilized as an area for  
2 placement of a retention structure for water  
3 reuse at the mills, if so needed. But it also  
4 could be redeveloped to have rain gardens and  
5 more landscaping and pervious pavement if the  
6 urban soils and that there's no contaminated  
7 soils underneath prove favorable.

8         So there's opportunities throughout  
9 the communities to try to look at private land  
10 and try and improve the situation. This one is  
11 on the same watershed up on Montgomery Street,  
12 just a large broken pavement that might be  
13 pervious because it's broken, but we can make it  
14 better.

15         You can include large tree box  
16 filters along Montgomery Street because there's  
17 a larger right of way, perhaps maybe there's  
18 pervious pavement. It's just opportunities.  
19 There could be a retention structure here for  
20 reuse for the existing facilities. Obviously

21 advantages are large volumes of stormwater can  
22 be held, and there could be stormwater wetland  
23 and water quality improvements, but construction  
24 costs, again, as with the intention of land  
25 services is quite great. I just want to mention

121

1 if some of you are aware, some of you are not  
2 aware, but Narragansett Bay Commission since  
3 2003 has been implementing their stormwater  
4 mitigation program, you know removing large  
5 amount of stormwater runoff from the permits  
6 that they apply for new connections, or an  
7 increase in 20 percent in sewer flow.

8         They try to implement and require  
9 to implement a green stormwater infrastructure  
10 and LID techniques into the new projects,  
11 whether it be redevelopment or whether it be a  
12 new project within their watershed. And you can  
13 see from 2003 to 2013, NBC has permitted over  
14 6.8 million gallons of stormwater being removed  
15 from their combined system, and that's based  
16 upon the three-month storm mitigating a lot  
17 stormwater from getting into their system.

18         This is just a general Phase III  
19 Locus plan and it's kind of hard to see, but  
20 everything in the dots right there, there's over

21 20 projects already permitted and some  
22 constructed within the watershed that has  
23 implemented GSI alternatives, and that equates  
24 to about from their permitting data, about  
25 500,000 gallons of stormwater removed from Bay

122

1 Street area just from 2003 to 2013, and that's  
2 from their program, which has been quite  
3 successful. Getting to the project that I want  
4 to talk about, this project actually isn't in  
5 Phase III, but it's representative to what is  
6 being done throughout their watershed.

7 This is this is Oliver Hazard Perry  
8 School in Providence. Right now it's currently  
9 renovated and to be used by Achievement first,  
10 the charter school, and part of the process with  
11 NBC was to remove the combined sewer and drain  
12 system on site and inside the building, and  
13 provide infiltration to remove a certain  
14 percentage of stormwater from their system  
15 before it discharges back to Hartford Avenue.

16 And in this case, we used a roof  
17 infiltration system and dry well installations  
18 after separation, and we're infiltrating close  
19 to 60,000 gallons of stormwater for the

20 three-month storm event. We're actually  
21 infiltrating a lot more because it's designed  
22 for a lot more volume over the 24-hour storm  
23 event. So overall, there's a lot more being  
24 infiltrated, but that's what will be infiltrated  
25 in the three-month storm, so good examples.

123

1 This just a plat graph over the years, you can  
2 see that the NBC program has steadily increased  
3 in the cumulative gallons mitigated over the  
4 years. And in general, their project that they  
5 permit go up and down but, generally around ten  
6 a year that they have. Translating GSI benefits  
7 to GSO reductions.

8 MR. HOLMES: Something you passed  
9 over is that the 6.8 million gallons that they  
10 have kept out of the CSO project is 10 percent  
11 of the volume that's available in the pipe,  
12 which is a good thing, because you get rid of  
13 that of 6.8 million percent of clean water,  
14 you've got that much room for CSO, so that's a  
15 good thing, it's a really good thing. That  
16 makes a big difference.

17 MR. LINDGREN: And that's why the  
18 program has been successful over that time  
19 period, so definitely. So if there's no more

20 questions, I'm going to turn it over to Nick.

21 He's going to talk about the GSI benefits.

22 MS. KARP: One of the issues with  
23 stormwater seems to be floatables when you just  
24 see plastic going down the street. These green  
25 technologies are fantastic, but how do they deal

124

1 with floatables that some of these people have  
2 to deal with? And then something I think that  
3 the city has been real good at is Adopt a Tree,  
4 and I would like to maybe come back to this for  
5 ways to stimulate private partnership on these?

6 MR. LINDGREN: Floatables are a big  
7 concern. There are ways to collect them. Some  
8 of these GSI alternatives would have a forebay  
9 for a sediment where some of those floatables  
10 would be collected. Some of the internal  
11 chambers would have either deep stones or footed  
12 applications where the floatables wouldn't get  
13 into the sewer system, they would actually be  
14 able to be cleaned out.

15 MR. ANDERSON: I'm going to talk a  
16 little bit, sort of extending what Rich has  
17 talked to you about already. You've seen a lot  
18 of good technology, and a lot of clever

19 innovative things, really. But in terms of my  
20 favorite subject is what problem are we solving  
21 and the problem we're solving at the moment is  
22 the CSO spill.

23           So what that means is we've got to  
24 be a little bit clever about how we apply these  
25 and for all of the reasons, and sat in the back

125

1 of the room and listened to all of which are  
2 very valid, all of which we're terribly familiar  
3 with, and all of which really do define what we  
4 actually choose for the solutions, because the  
5 important aspect of this is that we don't leave  
6 a long-term vulnerability or a poor legacy.

7           So it is solving the CSOs, but  
8 it's, it's just not seeming to do the right  
9 thing, I think the quote is, "It's not just  
10 doing the job right, but doing the right job."  
11 And so really considering this across the entire  
12 area, this is bit of a challenge. If we dealt  
13 with one parking lot and it rained one day of a  
14 Tuesday in June, we'd be okay. Sadly, it  
15 doesn't quite work out like that.

16           It gets a little bit tricky. So  
17 we're going to try and just show you a little  
18 bit of how our process is going on, and so I'll

19 give you a little insight into what we're doing.

20 Okay, what are CSOs, what do they do?

21 Now, the question very early in the  
22 day was about what they're doing with the SSO  
23 and the CSO. Well, hopefully, a CSO is a  
24 controlled discharge. When they're not  
25 controlled, then we're in serious trouble, but

126

1 they have a long history of providing great  
2 benefits. There's nothing wrong with CSOs per  
3 se, the reality is that they're a good thing,  
4 but just to make the point that they do actually  
5 encourage water quality, not degenerate it,  
6 really.

7 And so that's something to  
8 consider. But I take the point that, you know,  
9 what we said in years gone by and what we do has  
10 changed for all the reasons that we heard when  
11 Mike, and what have you, were talking earlier.  
12 It was very much that what we did 25 years ago  
13 doesn't apply today, and that's true here in  
14 Rhode Island and through the rest of the world.  
15 So that pragmatism is very important as we go  
16 forward, so a lot of the solutions we're  
17 thinking about have to have that pragmatic edge.



18           Primarily, yes, we are dealing with  
19 bacteria, yes, that's the reason that we're in  
20 the room discussing it, but there's no reason  
21 why we can't look at other benefits and look at  
22 long-term legacy, as well, which is why green is  
23 a very important factor in this. Okay, so we're  
24 going to talk a little bit of urbanization. I  
25 know this is very familiar to most of you, but

127

1   to couple of folks, this may not be so familiar.  
2   If you consider the cartoon in the graph on the  
3   left, what you've got there is when it rains on  
4   a rural piece of land, that is effectively what  
5   happens.

6           It takes time for the ground to  
7   wet, some of it soaks in, some of it gets caught  
8   in vegetation, but some of it runs off. Now,  
9   once upon a time that used to run off the hills  
10   and into Narragansett Bay. And then a few  
11   hundred years ago, we all turned up. But the  
12   reality is that when you urbanize it, then you  
13   change those parameters. So we thought the best  
14   thing to do is put it in pipes and get it away.  
15   The graph on the right essentially is the runoff  
16   of urbanization.

17           The peak flows are much, much

18 higher than, you know, basically and the volume  
19 extends, as well, because we're basically  
20 putting impervious surfaces where they used to  
21 be pervious. And that's the absolute crux of  
22 what we're trying to do in pursuit of my  
23 engineering excellence.

24 MS. KARP: I think something's not  
25 quite right in the cartoon to the right because

128

1 what we've done with CSOs is to channelize flow.

2 MR. ANDERSON: But what we're  
3 talking about here is just the effect of  
4 urbanization, so pervious to impervious. But  
5 you're absolutely right, the channelization  
6 associated with building pipes and sewers is the  
7 crux of this. So if we consider these four  
8 graphs, number one is the one that you've just  
9 seen. It's the effect of building on green  
10 land.

11 Now if we channelize that flow, as  
12 Carolyn rightly pointed out, and we put it into  
13 a combined sewer, that same hydrograph applies.  
14 And what we did in to control so we didn't have  
15 flooding and sewerage spilling everywhere was  
16 built CSOs. Now CSOs have what we call a

17 control level, and that's what the line across  
18 the graph you can see. So the bit that we're  
19 talking about today is actually just the blip on  
20 the top.

21 It's just a bit above the line, and  
22 so what we're talking about is actually holding  
23 that within the system, not necessarily letting  
24 that get into the watercourse, or in this case,  
25 Narragansett Bay. So if you consider that as

129

1 graph number 3, is what we call a receptor  
2 control, and Rich very eloquently pointed that  
3 out, this is where we know what volume we're  
4 dealing with, and we know it's a tank, or a  
5 sewer, or a tunnel, or whatever it is, and we  
6 capture that and hold it the system so it  
7 doesn't get into the bay, but what we're talking  
8 about now is doing things slightly differently.

9 We're now trying to be a little bit  
10 more progressive in our thinking and try to open  
11 up a number of different avenues, you know,  
12 social and environmental benefits. So if we  
13 move on to graph number 4, we still got that  
14 undeveloped, that's Utopia.

15 That's 300 years before we turned  
16 up. What we're trying to do is we're trying to

17 reshape the hydrograph you can see in 3 to look  
18 like the one in 4. And what does that mean?  
19 I'm trying to market this as a sustainable  
20 hydrograph.

21 And what that means is we look  
22 across the entire watershed, and we use a lot of  
23 the techniques that you heard today, and a lot  
24 of the techniques you heard at the last  
25 stakeholder meeting in order to hold some back,

130

1 infiltrate it, release it quickly, you know,  
2 reduce it in first instance. All of those  
3 things collectively are designed so that we  
4 reshape the hydrograph, the flow that's coming  
5 to the CSO in the sewer to a level that we're  
6 all comfortable with.

7 Now, this is the challenge, okay.  
8 There is not necessarily one solution for this,  
9 and the important thing to note is that every  
10 location is different. And when I say that, I  
11 don't just mean Providence or Pawtucket or  
12 Central Falls, I mean every single location from  
13 a single parking lot, to a green field, to a  
14 building.

15 So adding all of these together as

16 a jigsaw puzzle is what's the challenge. But  
17 that's where we're trying to get to and that's  
18 what we're trying to promote here. So your  
19 input into this process and telling us what does  
20 and doesn't work, and the point about what  
21 happens when it freezes and the poor weather  
22 conditions, absolutely important. The points  
23 about the trees over the sewers, extremely  
24 important. We've got to capture most of these,  
25 we've done this before, but that doesn't mean

131

1 that we've done it immediately here in these  
2 locations, so your input is absolutely valid.  
3 And that's where we're trying to get to, and  
4 hopefully at the end of this process, our  
5 solutions that we're recommending, that we're  
6 bringing to you in October will effectively do  
7 that.

8           So the reality is they probably  
9 won't be as nice as that, because these are my  
10 idealistic ways of doing things. It will be  
11 somewhat different, but that's our intention. I  
12 think it's important for the stakeholders that  
13 you all get the feeling of what we're trying to  
14 do with this.

15           It's not one size fits all. It's

16 not, well, we're going to have a guess of what  
17 we think is going to bring the most benefit, but  
18 what we are doing is we're looking at CSO  
19 reduction, abatement, if you will, and then  
20 we're looking at other benefits. Don't be  
21 mislead by thinking that we can consider  
22 absolutely everything.

23         We've got a primary focus, but if  
24 we can do something which benefits the  
25 community, doesn't leave long-term probability,

132

1 and has actually has some usefulness in the  
2 future, then all the better. Okay, just to take  
3 that a little bit further, a couple of more  
4 cartoons, because I do like the cartoon. Grey  
5 versus green.

6         Traditionally, what we used to do  
7 is heading down from the head of the system on  
8 your left with the bigger and bigger and bigger  
9 pipes until we got just before the watercourse,  
10 and then we built something, a tunnel, a tank,  
11 whatever it was, and that's what we used to do.

12         In Utopia, what we would like to  
13 do, is we would like to start at the head of the  
14 system and we'd like to start infiltrating, and

15 then we'd like to start using green techniques  
16 and we'd like to start encouraging, you know,  
17 new habitats and new social use, and all the  
18 rest of it, and we'd continue to infiltrate  
19 evapotranspirate and encourage, you know, all of  
20 the good things that are associated with green.  
21 And eventually by the time it gets to the  
22 watercourse, then the water quality should also  
23 be enhanced, as well. Just because the  
24 techniques that you can imply, whether you're  
25 talking about bacteria loading and just for a

133

1 note point of reference, bacteria loading is  
2 green infrastructure and not directly relatable.  
3 You can, yes, but in this instance, we're not  
4 talking managing bacteria with green, we're  
5 talking about managing wet weather with green.  
6 And by that, that also includes the point about  
7 the oil, the hydrocarbons, the heavy metals,  
8 things like that.

9 We can design these structures and  
10 we do design these structures to be, you know,  
11 kind of in deep understanding with their  
12 surroundings. So if there is a hydrocarbon risk  
13 associated with a highway, then we do tank it  
14 with geomembranes or with strategic planting.

15 It's not just a case of -- oils in the ground is  
16 a good thing, you know, just as a point of  
17 reference. But the reality really is this, and  
18 this is where we're getting to.

19 We're in fairly early stages of any  
20 sort of design, but what you'll notice there is  
21 there's not as much green as Utopia and not as  
22 much grey as the grey conditions. And I think  
23 if there's one takeaway from this it's the fact  
24 that the tunnel that's just before the receiving  
25 waters is a bit smaller underneath these

134

1 conditions, and that's what we're trying to get  
2 to. The opportunity, the understanding, the  
3 evaluation as a collected integrated catch --  
4 management to get to the main wall now, and this  
5 is what we're talking about. So that one  
6 parking lot that rains once a year on a Tuesday  
7 afternoon in June, yes, that's great, but the  
8 reality is, and this is the tricky thing, that  
9 if this was easy, then, you know, we would have  
10 fixed it years ago.

11 This is complicated stuff, folks,  
12 and your input is so valuable in determining  
13 what does and doesn't work. Okay, so earlier on



14 Scott mentioned that we're going to do a couple  
15 of examples. So these are taken from our  
16 hydraulic model. So we have a hydraulic model  
17 of the sewer network at the moment and basically  
18 we generate flows based on the impervious and  
19 pervious areas.

20 So this particular hydrograph is  
21 showing the performance at CSO 218, which we  
22 talked around right at the very beginning of  
23 today. What you've got there, is you've got the  
24 CSO setting line, which you can see, and then  
25 you've got over a period of time, you've got the

135

1 flow passing through that CSO. So when it's  
2 below that line that means it's staying within  
3 the current sewer network, when it's above that  
4 line, it's overflowing, it's going to the bay.  
5 Okay. Now, the important factor to note here is  
6 the relative proportions, okay. So what you'll  
7 note is that when you consider what to do, that  
8 is what you're bidding with, the bids above the  
9 line.

10 So what I did, there's a couple of,  
11 basically, a couple of calculations to what I  
12 thought we could do on the green side of things.  
13 So this is purely green, okay. So what we're

14 able do by introducing green reshapes that to  
15 the green line. Why does it do that? Well, the  
16 simple answer is if you put green  
17 infrastructure, which in this case, is a  
18 15-acre coverage in this watershed, okay.

19 Now, a 15-acre coverage needs a  
20 footprint of approximately 75 acres in this  
21 instance, and this is just a variety of the  
22 green infrastructure, so a lot of those things  
23 that Scott talked about, we sort of nominally  
24 put into the catchment. So we've reshaped the  
25 hydrographs. What you'll notice is if it starts

136

1 raining, it takes a long time before you see any  
2 flow of that CSO, because the green  
3 infrastructures are taking up the rainfall,  
4 taking up the runoff, taking up that volume in  
5 the system, but eventually, it gets beaten. It  
6 can't go on forever, yet we would fit it as much  
7 as we can, and that's why you get this sudden  
8 vertical climb. That flow's getting into the  
9 sewer system. Then once it basically gets to a  
10 peak, it then starts to drain down as it's  
11 always done.

12 Now, remember below the line is

13 good, above the line is bad in simple terms.  
14 What we're really trying to do now if we end up  
15 with this situation is say, well, green is  
16 taking care of that first one-third proportion.  
17 For those of you who remember trigonometry from  
18 school, it's about one-third of a triangle,  
19 okay, so half of the volume, or thereabouts.

20         So what we're trying to do is  
21 squeeze A into B. Now, you don't need to be an  
22 engineer to realize that A isn't going to go  
23 into B very easily. So it brings into the three  
24 words, and I'm a stickler for a three-word  
25 heading, or a three-word tag line. So this is

137

1 my spin on it. Opportunity, effectiveness, and  
2 scale. So number one, for all the reasons that  
3 Scott and Rich described to you is there an  
4 opportunity to apply green over what area? Can  
5 we fit it in? How steep is it? What is the  
6 soil like? What's the land use? Things like  
7 that.

8         The effectiveness: Is it really  
9 going to make a difference? We talked about  
10 affordability at some length earlier, and it is  
11 without question the most important aspect when  
12 we're in a group like this, but, nonetheless, is

13 it going to be effective if it's just a blip on  
14 the landscape is what we're looking for in terms  
15 of effectiveness? Remember, it's not just doing  
16 the job right, it's doing the right job that's  
17 important, and therefore effectiveness is a huge  
18 part in this, the application of green.

19 If we're going to build something  
20 and nobody's going to look after it, that's not  
21 being effective, that's just spending money for  
22 spending sake. That's not what we're looking  
23 for. Scale: What does scale mean? Well, if we  
24 did one tree box. Scott described a tree box as  
25 a great source of, you know, green

138

1 infrastructure. Great example, I should say.  
2 If we did one, would it make any difference?  
3 Apparently, no. If we did 45 million of them,  
4 then it would probably make a bit of a  
5 difference, but I'm not quite sure we're going  
6 to squeeze 45 million into the northern  
7 hemisphere, never mind into our catchment area.  
8 So if I were to implement our  
9 green, soil green infrastructure, then what we  
10 could ideally do is reshape the hydrograph.  
11 Now, that's a much more sustainable look at

12 things, but the reality is it still above the  
13 line? Are we still going to see an CSO going  
14 on. What problem are we trying to achieve? It  
15 doesn't add a solution to the problem. So you  
16 can see what we're dealing with. Some of these  
17 are great examples, but they're not applicable  
18 everywhere, not one size fits all.

19 MR. RAICHE: So everyone  
20 understands that this is an actual example that  
21 Nick has looked at, this is 218, which you  
22 recall from Tom's illustration at the beginning.  
23 It is one of the largest CSO, single CSOs.  
24 Essentially, if you want to think about it, the  
25 eastern quarter of Pawtucket, essentially from

139

1 the Ten Mile River to the base and divide  
2 between the Ten Mile and the Blackstone Seekonk,  
3 so that's the watershed that we're talking about  
4 right here.

5 MR. ANDERSON: Thanks Rich. So  
6 this is 202, much, much smaller up on the  
7 Blackstone, only a four-acre catchment this  
8 time. And we've spread one-acres worth of GSI  
9 across the four acres. Not wholly unreasonable  
10 in this particular location. So again, we've  
11 got the same situation, below the line good,

12 above the line bad.

13           The application of the green  
14 infrastructure using my three-word bargain  
15 basement approach basically reshapes it to that.  
16 So, again, we've got that slow buildup, then the  
17 sudden release in the flow's infrastructure  
18 where we've still got the CSO. So what I looked  
19 at was actually readjusting what gets passed  
20 forward, what gets retained, what the routing of  
21 the flows are?

22           This gets a little bit more  
23 technical because I'm actually trying to look at  
24 managing rainfall on the surface now. What we  
25 were able to do was actually that. Okay, so A

140

1 this time looks a bit more beneficial going into  
2 B, okay. So in this instance, green has a lot  
3 stronger pull. Now the reality is, of course,  
4 say for example we were building the tunnel  
5 anyway, yet, what's the potential benefit spin  
6 of the back seat controlling it if it was going  
7 to go to the tunnel anyway, because relatively,  
8 it's a small amount in the tunnel, but you can  
9 see the effect.

10           But the point is you can see, it is

11 part of the answer. And for all the reasons we  
12 talked about today, it is the most definitely a  
13 very important part of the answer, but don't  
14 believe that we're just going to kind of ram  
15 this down your throats and say, green is good,  
16 grey is bad. That couldn't be further from the  
17 truth. So I've got one last spin offline before  
18 I talk about our hydraulic model.

19         You don't need to be green to be  
20 sustainable, okay. Green is not just the only  
21 sustainable outlet. There are many reasons why  
22 green is unsustainable, because of long-term  
23 maintenance, but also, Scott talked about very  
24 briefly, if you've got contaminated soil and we  
25 have to dig out that soil and transport it, you

141

1 know, 2,000 miles to be looked after, that is  
2 not sustainable, that is a silly thing to do  
3 just for the sake of saying we're doing green.  
4 So tell us what you really think of it. If it's  
5 really something that you want to explore more,  
6 that's great.

7         At the next stakeholder we'll talk  
8 about some of the potential benefits, so keep  
9 some of these in your mind between now and then.  
10 But just to finish my little bit, and I promise

11 you we will let you go, is to say that we built  
12 a model of all of this, that's a very important  
13 aspect. Modeling from when this, you know, when  
14 the very first Phase I started, it exponentially  
15 changed, it really had. You know, the  
16 fundamentals of it remain the same.

17 Water flows down here go where you  
18 don't want it to. But the truth is modeling has  
19 become much more sophisticated, and we can do  
20 much more with it. So the integrated approach  
21 to the solution is now very much something we  
22 can look at look and look at with a degree of  
23 confidence, too. So that was it for me, really.  
24 And that's probably enough, I guess.

25 MR. DOMENICA: Great job, a lot of

142

1 material. We're overtimed, and we could take  
2 questions, but what I would suggest is we're  
3 going to have other opportunities to come back  
4 to this and talk about the pros and cons about  
5 how they work and don't work, advantages, cost,  
6 et cetera. So why don't questions addressed to  
7 Scott, either after you break up, and if they're  
8 important, mention to me. We'll put them on the  
9 parking lot, and we'll end the session at this



10 point unless there are any absolutely critical  
11 closing remarks.

12 MR. GAGNON: I'd like to put  
13 something on the parking lot that I think ought  
14 to discuss openly. Is that certainly there's a  
15 need for some upgrades to be done, but there are  
16 communities that are creating that need, and  
17 there's disparity between who's actually  
18 contributing to the need and that needs to be  
19 addressed.

20 The ratepayers and communities that  
21 aren't bringing any overflow in, they shouldn't  
22 be paying the rate. What we're subsidizing for  
23 the tunnel now, it just isn't fair. And at the  
24 end of the day, EPA's going to come along when  
25 we're all done and say, well, your stormwater,

143

1 you've got to do your stormwater, and there's  
2 going to be cities and towns say, oh, we're all  
3 done with our stormwater.

4 MR. DOMENICA: That's a great  
5 parking lot issue.

6 MR. MARSHALL: That issue has  
7 already been addressed in the Rhode Island  
8 Supreme Court, and the Supreme Court has said  
9 it's one district, one rate.

10 MR. DOMENICA: A lot of potential  
11 discussion of what Ray just said, too, so that  
12 will be a hot topic when we get to it.

13 The parking lot issue, your talk of  
14 the green talk emphasizes mitigating stormwater  
15 before it enters the system. There are also  
16 green technologies constructed instream, and  
17 there are these floating wetlands, so there are  
18 all sorts of things that could be used to  
19 actually improve the Seekonk River, Moshassuck  
20 River, but land based, they're water based.

21 MR. DOMENICA: Thank you. Thank  
22 you all for all of the enthusiastic comments  
23 with these issues. It's not easy, it's very  
24 hard, but this was a great meeting. The next  
25 meeting is on Thursday, June 19, same place,

144

1 same time, 9 a.m., and we're going to cover  
2 evaluation criteria, start getting into how all  
3 these things come together to create a plan, so  
4 thank you, again.

5 (MEETING CONCLUDED AT 1:15 P.M.)

6

7

8

9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

145

1 C-E-R-T-I-F-I-C-A-T-E

2

3 I, PAULA J. CAMPAGNA, CSR, a Notary  
4 Public, do hereby certify that the foregoing is  
5 a true, accurate, and complete transcript of my  
6 notes taken at the above-entitled hearing.

5

6 IN WITNESS WHEREOF, I hereunto set my  
7 hand this 6th day of June, 2014.

7

8

9

10

11

12

13

14

15

16

17

18

19

---

PAULA J. CAMPAGNA, CSR, NOTARY PUBLIC/CERTIFIED  
COURT REPORTER

20

21 MY COMMISSION EXPIRES: April 19, 2014

22

IN RE: CSO Phase III Stakeholders Meeting  
Narragansett Bay Commission

23

24 DATE: May 22, 2014

25